

## **TRANSCRIPT OF THE INQUIRY**

1 Thursday, 9 June 2022

2 (10.00 am)

3           LORD BRACADELE: Good morning. Before we start this morning  
4           I just want to say that you will note that neither of  
5           the assessors is here today, but I think as I explained  
6           at the beginning of the hearing, if they're not present  
7           here, they're following the proceedings using the  
8           broadcast and the live transcript and then they keep in  
9           touch with me.

Now, Ms Grahame, who is the first witness today?

11 MS GRAHAME: The first witness today is Dr Katherine  
12 Mitchell.

13           LORD BRACADELE: Good morning, Dr Mitchell.

14 A. Good morning.

15           LORD BRACADEL: You're going to be asked questions, but  
16           before that, I ask you to take the oath. So would you  
17           raise your hand, please?

18 DR KATHERINE MITCHELL (sworn)

19                   LORD BRACADELE: Ms Grahame.

20 MS GRAHAME: Dr Mitchell is going to be taken by Ms Thomson.

21           LORD BRACADALE: Ms Thomson, yes.

**TRANSCRIPT OF THE INQUIRY**

1 Ms Thomson.

2 Questions from MS THOMSON

3 MS THOMSON: Good morning, doctor.

4 A. Good morning.

5 Q. Is your full name Katherine Mitchell?

6 A. It's Katherine Frances Michelle.

7 Q. And how old are you, Dr Mitchell?

8 A. So, I was born in 1980. I'm 42, I think, no? Yes.

9 Q. Give or take.

10 A. 42 this year.

11 Q. 42 on your next birthday?

12 A. Yes.

13 Q. Grand. And what are your professional qualifications?

14 A. So I graduated with an MBChB and that was in 2005 from  
15 the University of Dundee, and since then I have gained  
16 the MRCEM, which is a qualification in emergency  
17 medicine issued by the Royal College of Emergency  
18 Medicine, it's a three-part examination.

19 Q. All right. You mentioned the MBChB; is that a medical  
20 degree?

21 A. Yes.

**TRANSCRIPT OF THE INQUIRY**

- 1           Q. From a university?
- 2           A. Yes, a Bachelor of Medicine and Surgery.
- 3           Q. And the MRCEM, what does that stand for?
- 4           A. That's a Member of the Royal College of Emergency
- 5           Medicine.
- 6           Q. And you explained that was a three-part examination?
- 7           A. Yes.
- 8           Q. Am I right to understand that in your current role you
- 9           are a specialist trainee, year 5, in emergency medicine?
- 10          A. That's correct, yes.
- 11          Q. Should we understand then that your specialism is
- 12          emergency medicine?
- 13          A. Yes.
- 14          Q. If I can take you back to May of 2015, at that time you
- 15          were working within the A&E department at the
- 16          Victoria Hospital in Kirkcaldy?
- 17          A. Yes.
- 18          Q. And I understand that at that point in your career, you
- 19          were what's called a foundation year 2?
- 20          A. Yes.
- 21          Q. Can you explain, please, what that actually means?

**TRANSCRIPT OF THE INQUIRY**

1       A. So with the current structure of medical training, after  
2                  you graduate you work in a foundation programme for  
3                  two years, so I had initially graduated in 2005 and  
4                  worked in a foundation programme at that point until  
5                  2007 and then as -- I worked in ophthalmology after  
6                  that. I then had a break while my children were small  
7                  and returned back into practice, regained those  
8                  foundation competencies over a course of three years  
9                  part-time, and then was eligible to apply for specialist  
10                 training, which I have undertaken since 2012. Does that  
11                 help to answer the question?

12       Q. It does, it does. Foundation year might not mean very  
13                  much to me or to others who are listening to the  
14                 proceedings, so I thought it would be helpful to ask you  
15                 to explain, so I think we have a clear idea now of your  
16                 career progression from university through to 2015 and  
17                 where you are today, and I think I'm right to understand  
18                 too that your specialism now certainly is in accident  
19                 and emergency medicine.

20       A. Yes.

21       Q. I'm going to be asking you some questions about

**TRANSCRIPT OF THE INQUIRY**

1           a patient who you saw in the A&E department at the  
2           Victoria on 3 May 2015, a constable Nicole Short, who  
3           had been assaulted at work.

4           Before I ask you any questions, I want to make sure  
5           that you've got everything that you need to give your  
6           best evidence to hand and there's a folder in front of  
7           you, doctor. If you open that up --

8           A. Yes.

9           Q. -- you should find within it a copy of the statement  
10          that you gave to the Inquiry team. That's got reference  
11          115 on it.

12          A. Yes.

13          Q. And it's a statement that you gave to a member of the  
14          Inquiry team on 16 March of this year, do you see that?

15          A. Yes.

16          Q. If we could have that on the screen, please, page 15,  
17          paragraph 79. I will just take you to the end of the  
18          statement. It concludes with the words:

19                 "I believe the facts stated in this witness  
20          statement are true. I understand that this statement  
21          may form part of the evidence before the Inquiry and be

**TRANSCRIPT OF THE INQUIRY**

1 published on the Inquiry's website."

2 Do you see that?

3 A. I do.

4 Q. And beneath it, do you see your signature?

5 A. So it was explained that it was an electronic signature  
6 and I was to sign it electronically, which I did.

7 Q. Grand. And have you in fact signed every page  
8 electronically?

9 A. I believe so, yes.

10 Q. You will see that on the version that's popped up on the  
11 screen your signature has been redacted; the hard copy  
12 in front of you bears your electronic signature.

13 A. That's correct.

14 Q. And also the date, 16 May of 2022.

15 A. Yes.

16 Q. Also in the folder there should be a statement that you  
17 gave to the PIRC, that's the Police Independent Review  
18 Commissioner, on 17 June of 2015. That's got reference  
19 294. So the statement was given on 17 June 2015 to  
20 a DSI Miles who was accompanied by a trainee from the  
21 PIRC and you gave that statement at the A&E department.

**TRANSCRIPT OF THE INQUIRY**

1           Do you recall giving that statement?

2       A. I think I do, yes.

3       Q. And when you spoke to the PIRC, would you have done your  
4           best to tell the truth and give a complete and accurate  
5           account of the events of 3 May?

6       A. I would have done.

7       Q. If we can flick back to your Inquiry statement  
8           momentarily, please, at paragraph 11, please. When you  
9           gave your statement to the Inquiry you were referred  
10          back to your earlier statement given to the PIRC and you  
11          said:

12            "I have read my previous statement ... I gave a true  
13           account to PIRC to the best of my recollection and using  
14           my notes."

15           Would those be the accident and emergency notes?

16       A. Yes.

17       Q. You don't have a separate note?

18       A. I don't have any separate notes, no.

19       Q. "Having read it doesn't really bring back anything in my  
20           memory that I could add on top of what is already  
21           written down unfortunately."

**TRANSCRIPT OF THE INQUIRY**

1           And if we scroll down to paragraph 12 please:

2           "I would have thought my memory would be better when  
3           I gave the statement than it is now. I have been asked  
4           if, in the event there is a contradiction between what  
5           is in my Inquiry statement and what is in my PIRC  
6           statement, which statement should be preferred. I'm not  
7           an expert, but I would imagine that recollections given  
8           closer to the time are more likely to be accurate. So  
9           using the initial information in my PIRC statement seems  
10          to me to make more sense than using information provided  
11          now."

12           So you have been clear that if there is any  
13          discrepancy between your Inquiry statement and your PIRC  
14          statement, we should prefer the PIRC statement because  
15          it was given closer in time to the events of May 2015.

16          A. I think so, yes.

17          Q. Grand. Also within the folder there should be the  
18          Accident and Emergency notes for Constable Short. They  
19          are PIRC 1158. Perhaps if we could look at the second  
20          page very briefly, Ms Drury, and scroll down just  
21          a little further, just so that we can see your name

**TRANSCRIPT OF THE INQUIRY**

1                   there, "Name of doctor"?

2       A. Yes.

3       Q. "Mitchell FY2", that's foundation year 2, I assume?

4       A. Correct.

5       Q. "Time seen 8.20", and, sorry, if we scroll up just  
6                   a little bit so that we can see that Constable Short's  
7                   name also features, top right-hand corner, I think. And  
8                   we see these are the notes that relate to Nicole Short.

9                   Now, we don't need to scroll further through the  
10                  document on the screen but if you could perhaps cast  
11                  your eye through those notes and confirm that they are  
12                  written in your hand?

13      A. Yes, they are.

14      Q. So these are the notes that you took on 3 May 2015?

15      A. Yes.

16      Q. Can I ask whether you wrote these notes during the  
17                  consultation with Nicole Short or did you write them up  
18                  later on?

19      A. I can't remember exactly, but because working in the  
20                  emergency department in Fife, you can take paper notes  
21                  rather than typed notes, what I would usually have done

**TRANSCRIPT OF THE INQUIRY**

1 I think would be to take the card into the cubicle with  
2 me and probably write some of the history whilst I was  
3 speaking to a patient, and then examine them, but  
4 probably write-up the examination sitting outside of the  
5 cubicle after I had finished.

6 Q. So it would be your practice then to do a combination of  
7 taking the history and writing that up at the time,  
8 carrying out the examination and then writing up the  
9 rest of your notes retrospectively?

10 A. Yes, yes.

11 Q. Would they have been written up within a short time of  
12 seeing the patient?

13 A. So I would always try and write my notes up certainly on  
14 the same day and I would imagine that they were probably  
15 completed within quite a short time of seeing her.

16 Q. May we take it that the notes are true and accurate?

17 A. They would have been accurate to the best of my  
18 knowledge, yes.

19 Q. And insofar as you have agreed that your memory was  
20 perhaps better in May 2015 than it is today --

21 A. Yes.

**TRANSCRIPT OF THE INQUIRY**

1       Q. -- should we prefer what is written in the notes, if it  
2           should come to pass that there might be any  
3           discrepancies between the notes and statements that you  
4           have given subsequently?

5       A. I think so. They would have been the first things that  
6           I wrote down, followed by the PIRC statement, followed  
7           by the statement given to the Inquiry, so if there is  
8           any discrepancy -- as I say, I'm not an expert but  
9           I would imagine what was written down first is probably  
10           the most accurate.

11      Q. Because they were closest in time to your examination of  
12           this patient?

13      A. Exactly.

14      Q. So they were written up in all likelihood partly during  
15           the consultation and partly later that day, whereas your  
16           PIRC statement was given more than a month later on  
17           17 June --

18      A. Yes.

19      Q. -- and your Inquiry statement was given some seven years  
20           after the event.

21           We can take that down from the screen for now, thank

**TRANSCRIPT OF THE INQUIRY**

1                   you, Ms Drury.

2                   So I'm going to ask you some questions about  
3                   Constable Nicole Short. Do you recall that patient at  
4                   all?

5                   A. A very vague recollection only of the consultation. As  
6                   I have said in the statement that I gave, I think she  
7                   was quite slim build, I think she may have had blonde  
8                   hair and I do remember examining her, but all the  
9                   details I would have to refer to what I have written  
10                  down previously.

11                  Q. You must see a lot of patients in A&E?

12                  A. We do.

13                  Q. Can we look then at the medical notes at page 3 and we  
14                  will begin with the history. So we see again the notes  
15                  are dated 3 May. They're dated 8.10. The cover sheet  
16                  was dated 8.20.

17                  A. I wonder if some of the clocks in the department and the  
18                  computer screens had slightly different times --

19                  Q. I see.

20                  A. -- so I can't explain why one is 8.20 and one is 8.10  
21                  but that's a potential explanation.

## **TRANSCRIPT OF THE INQUIRY**

1 Q. But can we take it that the clock that was to hand when  
2 you took the history said 8.10 on it?

3 A. I can't remember exactly.

4 Q. All right. "Mitchell FY2", again that's yourself. And  
5 the first six lines or so give a history of the  
6 incident. Can I ask you just to read out that history,  
7 the first six lines or thereby?

## 8 A. Starting with:

9 "Police officer.

10                    "Chased by member of the public this morning,  
11                    sustained blows to the back of the head. Remembers  
12                    falling and putting arms out to save herself. Curled up  
13                    into a ball and was then lifted by one of colleagues and  
14                    told to sit in [the] police van."

15 Q. Grand. At the very beginning there's a circle with  
16 a cross and 29. What does that mean?

17           A. So that would refer to the age of the patient and the  
18           fact that she is female.

19 Q. That's the female gender sign, is that right?

20 A. Mm-hm.

21 Q. Is it your practice to take the history from the

**TRANSCRIPT OF THE INQUIRY**

1                   patient?

2   A. If I'm able to, it would be my practice to take  
3                   a history from the patient, yes.

4   Q. In what circumstances might that not be possible?

5   A. So if a patient is unconscious then they wouldn't be  
6                   able to give you a history and you might be able to  
7                   collect information from other people, or if somebody is  
8                   very confused you might get information from other  
9                   people with their consent, if it's necessary and  
10                  practical to gain that.

11   Q. Can you recall whether on this occasion the history came  
12                  from Constable Short or from someone else?

13   A. I can't recall, but I can't see any reason why it would  
14                  have come from somebody else.

15   Q. And if we look at the history, it includes the words  
16                  "Remembers falling and putting arms out to save  
17                  herself"?

18   A. Yes.

19   Q. Does that tend to suggest that she has shared her  
20                  recollection of the events with you?

21   A. That's how I would interpret that, yes.

**TRANSCRIPT OF THE INQUIRY**

1           Q. Doctor, from a medical perspective, why is it important  
2           for you to take a history from a patient?

3           A. So a history starts to give you information about why  
4           the person has presented to you. It gives you  
5           information about what their presenting complaint is,  
6           what symptoms they're suffering, and it often helps you  
7           to work out the reason for those symptoms and to focus  
8           your examination and then any subsequent investigations  
9           that are necessary as well.

10          Q. So it's an information-gathering exercise essentially  
11          for you?

12          A. Yes.

13          Q. And in taking a history from the patient, would you be  
14          keen to elicit from them what has happened?

15          A. Yes.

16          Q. And any injuries that they're aware of?

17          A. Yes.

18          Q. And any body parts that might be sore?

19          A. Yes.

20          Q. Now, in the notes -- and you have the hard copy before  
21          you, please cast your eye over that if it would be

**TRANSCRIPT OF THE INQUIRY**

1           helpful -- there's no mention of back pain or pain in  
2           Constable Short's right-hand side. If she had  
3           complained of pain in her back or side when you took the  
4           history, would you have made a note of that?

5       A. I can't see any reason why I wouldn't have made a note  
6           of it.

7       Q. Would it have been important to you if she had made  
8           a complaint of back pain or side pain?

9       A. It would have been, because then it would have alerted  
10          you to the fact that there was potentially an injury  
11          affecting her right-hand side, or her back.

12      Q. Nicole Short has now given evidence and she described  
13          experiencing a searing pain in her right-hand side after  
14          the assault. If she had complained of a searing pain in  
15          her right-hand side when you examined her, would you  
16          have made a note of that?

17      A. I don't see any reason why I wouldn't have done.

18      Q. And again, would that have been important information  
19          from your perspective?

20      A. Yes.

21      Q. I would like to ask you some questions now about your

## TRANSCRIPT OF THE INQUIRY

1 examination of Constable Short and if we could perhaps  
2 go back to your Inquiry statement for a moment, please,  
3 and again the relevant paragraph will pop up on the  
4 screen. Paragraph 77, please.

5 We can ignore the first sentence for now but it  
6 records that:

7 "And all I can state is my recollection and my notes  
8 as I've written them, my recollection to the best of my  
9 knowledge, and what would have been generally taken to  
10 be my examination of a patient who had presented after  
11 a history of an assault; which would generally be that  
12 sort of top-to-toe examination to try and establish  
13 whether there were any injuries that were not initially  
14 obvious either to the patient or the clinician."

15 So should we understand that in a case such as this  
16 where there is a complaint of an assault, you will carry  
17 out what's known as a top-to-toe examination?

18 A. Yes, and then sort of focusing on areas where there are  
19 particular interests, so the patient had given a history  
20 of a head injury, so part of my examination would have  
21 focused on whether that head injury was likely to be

**TRANSCRIPT OF THE INQUIRY**

1 significant in terms of requiring further investigation,  
2 but I think if I look at my examination, I have also  
3 examined her chest and her tummy to try and elicit  
4 whether there were any injuries in those areas of the  
5 body as well.

6 Q. So was your examination limited to the head, the chest  
7 and the tummy, or did you carry out a top-to-toe  
8 examination?

9 A. So as part of the assessment for a head injury you are  
10 looking at how the nervous system is working so that  
11 also includes looking at the patient's face and  
12 examining their face and whether there are any what we  
13 would call cranial nerve injuries or deficits and also  
14 their arms and legs to make sure that the muscle groups  
15 and the sensation in all four limbs are working  
16 correctly as well. I think --

17 Q. All right -- sorry, carry on.

18 A. Thank you. I think I have also mentioned that she had  
19 some abrasions over her elbows and knees, so had looked  
20 at her hands to see if there was any signs of injury  
21 there as well.

**TRANSCRIPT OF THE INQUIRY**

1           Q. So were there any parts of the body that weren't  
2           examined as part of your top-to-toe examination?

3           A. I don't think so, looking at the notes.

4           Q. Why is a top-to-toe examination important where there's  
5           a history of assault?

6           A. With any sort of trauma there can be what we would  
7           sometimes term a distracting injury, so an injury which  
8           is maybe more severe and more focused on by the patient  
9           and maybe the clinician initially, but if there has been  
10           trauma, then it's important to establish whether there  
11           are any other injuries that have not been apparent  
12           initially.

13           Q. So could a distracting injury potentially mask something  
14           of equal importance that's going on that --

15           A. Yes, but is maybe presenting a little bit more subtly.

16           Q. I see. Does the top-to-toe examination, or rather on  
17           this occasion, did the top-to-toe examination involve an  
18           examination of the torso?

19           A. So I have written within my notes that there was no  
20           injury -- obvious injury to her chest and noted that  
21           percussion was resonant throughout, so that would have

**TRANSCRIPT OF THE INQUIRY**

1 involved tapping on her chest to see whether the lung  
2 fields were resonant. I have then written "vesicular  
3 breath sounds throughout" which would have involved  
4 listening to the patient's chest and therefore examining  
5 her torso.

6 Q. Now, if we can look at paragraph 50 of your Inquiry  
7 statement, please. You give a description of what is  
8 meant by the chest from your perspective as a doctor and  
9 you say:

10 "The 'chest' is describing from the bottom of your  
11 neck down to the bottom of your rib cage ... your ribs  
12 are coming down lower on each side than they do in the  
13 middle, and they are providing some protection to your  
14 upper abdominal organs. This would include your lungs.  
15 Listening to a patient's chest/breath sounds would  
16 usually include listening at both the front and back."

17 So when you say you carried out an examination of  
18 the chest, are you examining the front of the body, the  
19 back of the body or both?

20 A. So I can't remember the specifics of this consultation  
21 unfortunately, but you would be examining both the front

**TRANSCRIPT OF THE INQUIRY**

1           and the back usually.

2   Q.   That would be your normal practice?

3   A.   Yes.

4   Q.   And can you think of any reason why you would have  
5        deviated from your normal practice in this consultation?

6   A.   No.

7   Q.   When you examine the chest, do you do that on top of the  
8        patient's clothes or do they require to undress?

9   A.   So it does depend a little bit on the situation. I know  
10      that this patient had people with her when I saw her and  
11      you're obviously aiming to carry out as thorough  
12      examination as possible, whilst maintaining the  
13      patient's dignity. I can't remember when whether  
14      I examined -- asked her to take off her upper clothes or  
15      not on this occasion.

16   Q.   Are there any aspects of a chest examination that would  
17      require you to look at or touch the patient's skin  
18      beneath their clothing?

19   A.   So, I have written -- can I just go back to my notes?

20   Q.   Please do.

21   A.   So I have written that she had no chest pain and that

**TRANSCRIPT OF THE INQUIRY**

1           there was no obvious injury to the chest. As I said,  
2           I can't remember whether that was directly looking at  
3           her skin or not. Had she described chest pain, or had  
4           I elicited any tenderness when I was examining her by  
5           tapping on her chest or listening to her chest then  
6           I would imagine that I would have asked her to take her  
7           clothes off so I could look at the skin and see if there  
8           was any bruising or marks there.

9           Q. Now, we know that on the day in question, Constable  
10          Short was wearing a protective vest --

11          A. Right.

12          Q. -- as part of her uniform. Do you recall her wearing  
13          a protective vest?

14          A. Not during the consultation, no.

15          Q. All right. And if she had been, would you have asked  
16          her to take that off?

17          A. I don't know the equipment exactly, but I would imagine  
18          it would be very difficult to listen to a person's chest  
19          through a large vest, so if she was still wearing it,  
20          I probably would have asked her to take it off.

21          Q. I can perhaps help you with that, doctor. I think we

**TRANSCRIPT OF THE INQUIRY**

1 have a demonstration vest in the hearing space. And if  
2 Ms Drury can perhaps pass it to you so you can feel the  
3 weight of it and the thickness of it.

4 A. Thank you.

5 Q. Would you have been able to carry out an examination of  
6 the chest on top of that vest?

7 A. I would have thought not, no.

8 Q. So if she had been wearing that when she came into your  
9 consultation room, would you have asked her to remove  
10 it?

11 A. I would have imagined so, yes.

12 Q. Thank you. You can perhaps give that back to Ms Drury.

13 Returning to your Inquiry statement, if we could  
14 scroll up just a little bit, please, to paragraph 48:  
15 "My usual practice would be to press and see whether  
16 there was actual chest tenderness when you were pressing  
17 over the chest wall itself. But again, without having  
18 specifically written 'no chest tenderness' I can't tell  
19 you whether that was what I did at the time or not."  
20 You mention there pressing and in your evidence you  
21 spoke about tapping; are they one and the same thing?"

**TRANSCRIPT OF THE INQUIRY**

1       A. So I talk in the statement -- in the notes about  
2           percussion, which is a particular part of the chest  
3           examination. You place your hand on the patient's chest  
4           and tap like this (indicating) and you're trying to  
5           elicit whether there is a sound of sort of hollowness to  
6           indicate that there is air within the lungs, or whether  
7           there is the sound of dullness which might indicate  
8           fluid within the lungs, and in the case of trauma, that  
9           might be blood, or whether there is a sound of what we  
10          would term hyperresonance which would indicate that  
11          there's too much air within the chest cavity and  
12          a potential pneumothorax, where air has come within the  
13          pleuritic space rather than the lung itself and  
14          therefore potentially compressing the lung.

15       Q. So you demonstrated there what you would do when tapping  
16          or percussion. You put one hand on the patient's  
17          chest --

18       A. Yes.

19       Q. -- and it was a knocking gesture that you made?

20       A. Then just knocking on your knuckle to try and elicit how  
21          air is moving within the chest cavity.

# **TRANSCRIPT OF THE INQUIRY**

Q. Would you do that to the front of the chest, the back,  
or both?

3           A. Often just the back, but sometimes the front as well,  
4           and I can't remember whether it was the front and the  
5           back in this case.

6 Q. But it certainly would have included the back?

7                  A. Yes.

8 Q. Returning to your statement at paragraph 49, you explain  
9 that your usual practice would be to look at the chest  
10 and to press on it, then to listen to the chest as well:

11                    "I may have asked Constable Short's colleagues to  
12                    leave or asked her if she was happy for me to continue  
13                    with the examination with her colleagues present.

14 I can't remember the detail of the examination."

15 So when you describe there pressing on the chest, is  
16 that the same as the percussion or the tapping that you  
17 have demonstrated?

18           A. No, that would be more just pressing to see whether  
19           there was tenderness over any of the ribs.

20 Q. I see. So the tapping or the percussion is to do with  
21 the lungs essentially?

**TRANSCRIPT OF THE INQUIRY**

1 A. Yes.

2 Q. And looking to identify whether there were any problems  
3 with the lungs, but the pressing is to identify areas of  
4 tenderness?

5 A. Yes.

6 Q. So again, when you said that you would press, you made  
7 a gesture against your body. Can you do that again and  
8 explain how you would press the chest?

9 A. So just pressing gently over the chest wall itself and  
10 seeing if a patient is finding that uncomfortable or  
11 not. Unfortunately, I have not specifically referenced  
12 that in my notes, so I can't say whether I did that on  
13 this occasion or not.

14 Q. Would that be your practice?

15 A. Practice varies depending on the situation, and if she  
16 hadn't complained of chest pain then I can't say I would  
17 have necessarily done that. If she had complained of  
18 chest pain I would have done, or am likely to have done.  
19 As I say, I don't want to say anything that's not  
20 correct.

21 Q. So your usual practice if there had been a complaint of

**TRANSCRIPT OF THE INQUIRY**

1           chest pain certainly would be to press in the way that  
2           you have described, and you have said that the chest  
3           includes the front of the body and the back. If there  
4           had been any complaint of back pain, would you have  
5           carried out a similar examination?

6         A. Yes, and if I can just go back to my notes again --  
7           I have written that she had no C-spine, so cervical  
8           spine tenderness, but I have not documented whether or  
9           not she had back pain.

10      Q. All right. And if there had been a complaint of back  
11           pain, is that something that you would have noted?

12      A. Yes. Well, I can't see any reason why I wouldn't have  
13           done.

14      Q. So you can't assist us, relying on your memory  
15           seven years after the event, as to whether you pressed  
16           to check for tenderness, but you are quite clear that at  
17           the very least, you would have tapped the back of her  
18           chest or her back, essentially, to check for any issue  
19           with the lungs and that tapping that you demonstrated,  
20           do you do that at a particular place on the back, or is  
21           it all over the back?

## **TRANSCRIPT OF THE INQUIRY**

1 A. So I would usually do that in three places on each side,  
2 so in the upper part of the chest on the left, so when  
3 I say "chest", the back of the chest, so the upper part  
4 on the left and the right, then the middle on the left  
5 and the right, and the base on the left and the right.

6 Q. And in your experience, where a person that has  
7 sustained an injury to the back of the chest or to their  
8 back, can that tapping, albeit you are looking -- your  
9 interest is in checking their lungs -- can that process  
10 of tapping elicit tenderness where there is an injury?

11           A. I would imagine if you're placing your hand and then  
12                 tapping over it, if there is tenderness you may elicit  
13                 it at that point, but you're not pressing in, so you  
14                 might not.

15 Q. The tapping that you would have carried out on  
16 Constable Short's back, would that have been on the skin  
17 or on top of her clothes, or can't you say?

18 A. I'm afraid I can't remember.

Q. If you had, at any time, seen her skin and noticed  
a visible injury, would you have made a note of that

21 A. Again, I can't see any reason why I wouldn't have noted

**TRANSCRIPT OF THE INQUIRY**

1                   that.

2   Q. If you had noted any bruising or redness, would you have  
3                   noted that?

4   A. Again, I don't see any reason why I wouldn't, and in the  
5                   areas where I had noted redness, such as on her right  
6                   ear, I have documented that in the notes.

7   Q. And if we turn to the notes, please, at page 3, a little  
8                   bit further down the page, please, Ms Drury, you have  
9                   recorded:

10                  "No chest pain. No obvious injury to [the] chest.  
11                  [The] percussion resonant throughout."

12                  That's the tapping that you have described:

13                  "Vesicular breath sounds throughout."

14                  What does that mean?

15   A. So that's listening with a stethoscope to the patient's  
16                   chest, again, usually the back and the front and you're  
17                   listening to see how air is moving through the lungs to  
18                   determine whether that is equal on both sides. If it  
19                   was unequal, then it might suggest an injury to one side  
20                   of the chest and whether that air is moving in a normal  
21                   or vesicular way, or whether there are any added sounds

**TRANSCRIPT OF THE INQUIRY**

1 to the breathing, such as crackles or crepitations, or  
2 possibly wheeze as you might hear in an asthmatic  
3 patient.

4 Q. When you used the stethoscope, is that on the skin or on  
5 top of the clothes?

6 A. Again, I can't remember exactly in this case.

7 Q. Doctor, can you assist me with this: where is the kidney  
8 area on the body?

9 A. So I would say the kidney area is about here  
10 (indicating).

11 Q. You are indicating -- you have put your hand on --

12 A. Just below my rib cage --

13 Q. -- below the rib cage --

14 A. -- and on the back.

15 Q. Just above the waist?

16 A. Yes.

17 Q. Between the bottom of the rib cage and the waist?

18 A. And the top of your pelvis.

19 Q. And the top of the pelvis.

20 I want to ask you some questions now about loss of  
21 consciousness and I want to begin by asking you how you

**TRANSCRIPT OF THE INQUIRY**

1           would assess for loss of consciousness. In a patient  
2           who is now conscious but how would you confirm or rule  
3           out a history of loss of consciousness?

4         A. I would ask the patient what they remember about the  
5           events and if they can give me a full history of exactly  
6           what has happened with no breaks or gaps in their  
7           memory, then that would indicate that they haven't lost  
8           consciousness. If they have a piece of the recollection  
9           that is not clear to them, then that might suggest that  
10          they have lost consciousness, or indeed, if they just  
11          say "I can't remember what happened after this point",  
12          then that could indicate that they lost consciousness at  
13          that point as well.

14         Q. All right. If we look at page 5 of the medical notes,  
15          please, sorry, just the top of that page, please. This  
16          is a continuation of your notes and it begins:

17                   "GCS ... 15/15."

18                   What does that mean?

19         A. So that's the Glasgow Coma Scale and it is scored out of  
20          15 points, and 15 out of 15 means that the patient is  
21          alert and orientated, their eyes are open spontaneously,

**TRANSCRIPT OF THE INQUIRY**

1           that their speech is not confused and that they are able  
2           to obey commands or follow instructions that you give.

3       Q. And what's "PEARL"?

4       A. So that is an abbreviation used in respect of an  
5           examination of a patient's pupils indicating that each  
6           pupil is reactive to light.

7       Q. You then explain:

8                 "No cranial nerve deficits identified."

9                 What's the relevance of that?

10      A. So your cranial nerves are the nerves that supply your  
11           head and your face. We carry out an examination which  
12           includes asking about changes to vision, looking at how  
13           the eyes are moving, looking at how the muscles of the  
14           face are working, very crudely testing a patient's  
15           hearing by making a quiet noise in each ear, asking  
16           about sort of speech -- well, observing speech and  
17           asking whether they have noticed any sort of asymmetry  
18           or difficulty swallowing, any changes to the function of  
19           their face.

20      Q. And you recorded:

21                 "No cranial nerve deficits identified. No double

**TRANSCRIPT OF THE INQUIRY**

1 vision."

2 A. That's correct.

3 Q. "No --"

4 Is CSF cerebral spinal fluid?

5 A. Correct, yes.

6 Q. From the -- would that be nose and ears?

7 A. Yes.

8 Q. And what does the absence of cerebral spinal fluid tell  
9 you?

10 A. So you're looking for whether there is CSF coming from  
11 a patient's ears or nose because it can fit with a base  
12 of skull fracture, so a more serious head injury.

13 Q. So if it was present, it would be a red flag for  
14 something more serious?

15 A. (Nods).

16 Q. "No blood in the ears".

17 What might blood in the ears indicate?

18 A. Again, it could be an indication of a base of skull  
19 fracture.

20 Q. "No batties sign", what's that?

21 A. Sorry, my writing is not very good there. So no battle

**TRANSCRIPT OF THE INQUIRY**

1 sign.

2 Q. Battle sign.

3 A. Battle sign refers to bruising behind each ear, and  
4 again is a sign of a base of skull fracture.

5 Q. So this is a lady who has given a history of having been  
6 struck to the head and you are looking to rule out the  
7 possibility of a more serious head injury, is that  
8 correct?

9 A. That's correct.

10 Q. And finally "No C-spine tenderness"?

11 A. So that would likely have involved pressing on the bones  
12 of her neck to make sure that there was no tenderness  
13 there.

14 Q. Returning to consciousness, if we can go to your Inquiry  
15 statement, please, at paragraph 32, you say:

16 "One of the parts of my assessment would be can the  
17 patient talk to you and describe what has happened in  
18 a coherent way and she did that. That's confirmed in my  
19 notes by the fact that I've written she was GCS 15, so  
20 alert and orientated."

21 And you said earlier in your evidence that you would

**TRANSCRIPT OF THE INQUIRY**

1           be looking for any breaks in the history of events.

2           Were there any breaks or missing parts in the history  
3           that Constable Short was able to give to you?

4           A. So looking back at my notes, I didn't find that there  
5           were any breaks in that history. She was able to  
6           describe -- well, I have written that she described what  
7           had happened prior to the event in the fact that she had  
8           been chased and that she remembered the fall itself and  
9           putting her arms out to save herself, and then that she  
10          curled up in a ball and was then lifted by one of her  
11          colleagues, so I didn't find any breaks in the history  
12          when I discussed that with her.

13          Q. Returning to your Inquiry statement, at paragraph 33,  
14          you say:

15            "If she had been hazy in her recollection, it's  
16           likely I would have written that down. If there was  
17           a bit that she couldn't remember, that would have been  
18           clinically significant so it's likely I would have  
19           written it down. If she had a hazy or incomplete  
20           recollection of events, then I would have been likely to  
21           conclude that she may or did have a loss of

## **TRANSCRIPT OF THE INQUIRY**

1 consciousness. And looking at my notes, I felt that she  
2 hadn't lost consciousness.

3 "If a patient can recollect all of the events then  
4 it would be normal practice to assume that they hadn't  
5 lost consciousness because they can describe everything  
6 that happened. If a patient can't recall the 30 minutes  
7 before a head injury, this would be a reason to carry  
8 out a CT scan of their head. So it's not necessarily  
9 the loss of consciousness that's important in terms of  
10 your clinical decision-making, but also whether there is  
11 a lengthy period of amnesia or memory loss before the  
12 incident which wasn't demonstrated to me in this case."

13 What is the significance of a period of amnesia in  
14 the 30-minute period leading up to a head injury?

15 A. So that's one of the situations where we would carry out  
16 a CT scan of a patient's head after a head injury, so  
17 there's a number of different indications that are  
18 published in guidelines and if a patient can't remember  
19 the 30 minutes before a head injury, I believe there's  
20 an association with more serious injury and therefore  
21 the suggestion in the guidelines is that you would be

**TRANSCRIPT OF THE INQUIRY**

1           sensible to carry out a CT of the patient's head.

2   Q. So it would be an indication for further investigation?

3   A. That's right, yes.

4   Q. In paragraph 35 of your Inquiry statement -- you were  
5       taken to your PIRC statement where you had recorded:

6           "During my examinations of Nicole Short I was able  
7       to discount the loss of consciousness by her ability to  
8       recall of the events pre and post event."

9           And you say that if that's what you said a month or  
10      two after, that would be an accurate version of events.

11       So should we understand that as far as you were  
12      concerned you were able to discount the possibility of  
13      loss of consciousness here?

14   A. That's correct.

15   Q. Can you look, please, at page 6 of the medical notes.  
16       I think on the screen it might be upside down. No, just  
17       my copy that's upside down. It appears to say LC, would  
18       that be loss of consciousness?

19   A. Yes.

20   Q. "Punches to back head". Do you recognise that  
21      handwriting?

**TRANSCRIPT OF THE INQUIRY**

1           A. I'm afraid I don't.

2           Q. So it is not your handwriting?

3           A. It's not mine.

4           Q. Can you assist us as to whose handwriting it may have

5           been?

6           A. My only suggestion would be it could have been the

7           triage nurse, if the patient was taken to triage prior

8           to being seen by myself, which would have been the usual

9           practice within the department, they may have written

10           that there, but I don't know.

11           Q. But as far as you were concerned, loss of consciousness

12           is something that you considered and you felt able to

13           eliminate?

14           A. That's correct.

15           Q. If Constable Short had lost consciousness at about

16           7.20 am, what impact, if any, would that have had on her

17           presentation when you saw her about an hour later?

18           A. So it's difficult to say, but I would imagine that if

19           she had lost consciousness at that point, she wouldn't

20           have been able to tell me what had happened in the

21           events leading up to her presentation, or certainly the

**TRANSCRIPT OF THE INQUIRY**

1 events around that time. I don't know what events were  
2 taking place at exactly that time, but if she had lost  
3 consciousness, I would have expected there to be a gap  
4 in the recollection that she gave me.

5 Q. Is it possible to suffer from concussion without having  
6 lost consciousness?

7 A. So after an injury to the head you can get a -- without  
8 losing consciousness, you can have symptoms such as  
9 feeling a little bit sick, maybe feeling a little bit  
10 unsteady, finding that your memory is not as good or  
11 you're very tired, and I believe those would be symptoms  
12 of concussion, so I think yes, you could have symptoms  
13 of concussion without loss of consciousness.

14 Q. So if we were to hear that Constable Short was  
15 subsequently diagnosed with post-concussion syndrome,  
16 that wouldn't undermine your assessment at the time that  
17 she hadn't suffered a loss of consciousness?

18 A. I think you would have to ask a medical expert about  
19 that.

20 Q. If we can return to the medical notes, page 4 of the  
21 notes, please, and the bottom of that page, please,

**TRANSCRIPT OF THE INQUIRY**

1 Ms Drury, so having conducted your -- taken the history  
2 and conducted the examination of the patient, you have  
3 recorded your impression which was:

4 "Head injury. No neurological deficit identified.  
5 No bony injury identified."

6 And the plan:

7 "Discharge with head injury advice. Advised to stay  
8 with someone today overnight."

9 A. That's right.

10 Q. Is that standard advice for a patient who may have  
11 suffered a head injury?

12 A. Yes, yes. So after a head injury we're trying to  
13 ascertain whether there is any evidence of a serious  
14 head injury that would require further investigation or  
15 observation at the time, but there is recognition that  
16 some of these symptoms can develop after a consultation  
17 and therefore we advise patients to stay with someone  
18 for 24 hours after a head injury, and to represent  
19 should certain symptoms occur, or if they have further  
20 concerns.

21 Q. Doctor, I want to return to your consultation with

**TRANSCRIPT OF THE INQUIRY**

1           Constable Short and I asked you lots of questions about  
2           what she was wearing, whether she undressed and perhaps  
3           unsurprisingly, seven years down the line you don't  
4           recall. I am, however, reminded that when  
5           Constable Short gave evidence on 24 May to this Inquiry  
6           she said:

7            "I was given a gown to put on, a hospital gown to  
8           put on."

9           Now, tell me about hospital gowns. When a patient  
10          is asked to put on a hospital gown would the expectation  
11          be that they take off their day clothes and just wear  
12          the gown?

13         A. I think so, yes.

14         Q. And what's the purpose of a patient putting on  
15          a hospital gown?

16         A. It would potentially make your examination more --  
17          easier because -- so it's a little bit like at the  
18          hairdresser when you're asked to put a gown on over your  
19          front and the back is open, so it could make your  
20          examination easier.

21         Q. So the back of the gown is open?

**TRANSCRIPT OF THE INQUIRY**

1           A. Usually, yes.

2           Q. And if the back of the gown were open, then you would be  
3                 able to see the back of the chest more easily?

4           A. Yes.

5           Q. And if Constable Short had been wearing a gown that was  
6                 open at the back, can you comment on whether it would  
7                 have been more or less likely that your examination  
8                 would have been performed on the skin?

9           A. I suppose it's probably more likely, but I can't --  
10           I honestly can't remember those details.

11           Q. You can't remember, all right. I want to move on to ask  
12           you about another issue now, doctor. There is evidence  
13           before the Chair that the man who assaulted Nicole Short  
14           stamped on her back. Now, she does not recall this but  
15           was told about it after she returned to the police  
16           station following her visit to A&E.

17                   Two police officers have given evidence that they  
18                 saw the man stamp on her back. A civilian eye-witness  
19                 to the incident says it did not happen. So you will  
20                 appreciate it's a contentious issue and the Chair to the  
21                 Inquiry will require to make a finding in due course as

**TRANSCRIPT OF THE INQUIRY**

1 to whether the man stamped on Constable Short; if he  
2 did, where on her body, how many times and with what  
3 degree of force. And it may assist the Chair to know  
4 what the medical evidence tells us and, as you may be  
5 aware, you were the first doctor to examine her after  
6 the assault.

7 I would like to give you descriptions of the stamp,  
8 the descriptions that have been provided by the two  
9 officers who say that it happened, and it may be that we  
10 can bring these up on the screen, if not I will read  
11 them out. Ms Drury, do we have PIRC 263, which is  
12 Constable Tomlinson's statement? If we could go to  
13 page 3, paragraph 3, please.

14 (Pause).

15 If we can scroll down. I'm sorry, it appears I must  
16 have the wrong page reference, but not to worry, I will  
17 simply read out what I had hoped this would say:

18 "He stomped on her back with his foot with a great  
19 deal of force. He put his full body weight into the  
20 stomp and used his arms to gain leverage. After he did  
21 this she went back to the floor and never moved.

**TRANSCRIPT OF THE INQUIRY**

1 I thought he had killed her. He stomped on her back  
2 again with the same force and she wasn't moving."

3 So that's the description provided by  
4 Constable Tomlinson in his statement to the PIRC and  
5 I would like to give you a similar description provided  
6 by Constable Walker, and again, I will just read this  
7 out, but this is from a statement he gave to the  
8 Inquiry:

9 "PC Short was lying face down in the prone position  
10 on the road. Sheku Bayoh was standing at right angles  
11 to her. I saw him with his right leg in a high raised  
12 position. He had his arms raised up at right angles to  
13 his body and brought his right foot down in a full force  
14 stamp down onto her lower back, the kidney area."

15 So those were the descriptions given by the officers  
16 and when they gave their evidence, they were asked to  
17 demonstrate the stamp, and I'm going to ask you to watch  
18 their demonstrations because the evidence was of course  
19 recorded, so if we could perhaps watch  
20 Constable Tomlinson's demonstration first.

21 (Video played)

**TRANSCRIPT OF THE INQUIRY**

1                   And now Constable Walker's demonstration.

2                   (Video played)

3                   Okay, so you have heard the verbal descriptions and  
4                   you have seen the demonstrations that were given in  
5                   evidence. Now, doctor, I'm going to ask you some  
6                   questions about that, and if you feel that these  
7                   questions take you out of your field of expertise, then  
8                   please just tell me, but would you have expected a stamp  
9                   or stamps as demonstrated there to have caused injury?

10          A. I think you probably are taking me a little bit out of  
11               my field of expertise for a proceeding such as this and  
12               maybe a sort of forensic expert might be more  
13               appropriate to provide a more definitive answer, but on  
14               the first page of my medical notes I have written that  
15               the patient's abdomen was SNT which is soft and  
16               non-tender and that there was no obvious abdominal  
17               injury and no abdominal pain. That would have involved  
18               pressing on the front of the patient's tummy, putting  
19               one hand underneath and then sort of squeezing the  
20               kidney area between two hands to see if it elicited any  
21               tenderness.

## **TRANSCRIPT OF THE INQUIRY**

Q. Squeezing the kidney area?

2 A. So, the flank, yes.

3 Q. And had there been any tenderness would you have made  
4 a record of that?

5 A. I don't see any reason why I wouldn't have done.

6 MS THOMSON: All right. Can you bear with me a second  
7 please.

8 (Pause).

9                   Thank you, doctor. I have no further questions for  
10                  you.

11 Thank you, sir.

12           LORD BRACADEALE: Thank you. Are there any Rule 9  
13           applications for this witness? Ms Mitchell.

14 Dr Mitchell, would you mind going back to the  
15 witness room while I hear a submission?

16 A. Of course.

17 (Pause).

18           LORD BRACADALE: Yes, Ms Mitchell.

19 Application by MS MITCHELL

20 MS MITCHELL: Just one issue, in the Inquiry statement given  
21 by Nicole Short at paragraphs 23 and 24, she indicates

**TRANSCRIPT OF THE INQUIRY**

1           that she told the doctor, that being Dr Mitchell --  
2           sorry, I should say for the record, that's Inquiry  
3           statement of Nicole Short, it's number 41, at  
4           paragraphs 23 and 24. At paragraph 23, the last  
5           sentence, it says -- when she was being examined by  
6           Dr Mitchell:

7            "I told the doctor at the time I knew I wasn't  
8           speaking normally but she discounted that for some  
9           reason."

10          And then at 24:

11          "I do remember telling Dr Mitchell that I felt  
12       I wasn't speaking right and her replying that I sounded  
13       all right to her."

14          Now, we have also heard evidence given by this  
15       witness that in terms of the Glasgow Coma Scale, one of  
16       the things that she assesses is speech and what I would  
17       like to know from this witness was if Nicole Short  
18       mentioned to her that she was not speaking normally,  
19       would this have been important, would she have written  
20       it down, would this have been significant and what  
21       further steps might she have taken.

## **TRANSCRIPT OF THE INQUIRY**

1 (Pause) .

Ruling

3           LORD BRACADEALE: Yes, very well. I will allow you to ask  
4           that. If you can rearrange the seats.

5 Thank you. Can we have the witness back, please.

6 DR KATHERINE MITCHELL (continued)

## 7 Questions from MS MITCHELL

8           LORD BRACADEL: Dr Mitchell, Ms Mitchell who is the senior  
9           counsel for the Bayoh family has a question for you.

10 A. Hello, good morning.

11 MS MITCHELL: Good morning. Just one issue that I want to  
12 ask you about, and that is you have explained to us this  
13 morning as part of the Glasgow Coma Scale one of the  
14 things that you assess is speech. Can you explain to us  
15 what that is, what you carry out?

16 A. So really just through talking to the patient to make  
17 sure that their speech is orientated, that they can  
18 describe events, that they don't appear to be confused  
19 in any way, or indeed, that that speech has got a sort  
20 of unusual or slurred quality to it. My notes indicate  
21 that when I examined the patient she was not confused

**TRANSCRIPT OF THE INQUIRY**

1                   and that her speech was normal.

2   Q. If Nicole Short mentioned to you that she wasn't  
3       speaking normally, would that have been clinically  
4       significant to you?

5   A. So I don't see any reason why I wouldn't have noted that  
6       down and it may have then been a reason to carry out  
7       further investigation.

8   Q. Why would it have been significant?

9   A. So if she felt her speech was abnormal, then it may have  
10      indicated an underlying brain injury which might require  
11      a CT scan, or it could have indicated an injury to  
12      another part of the body that's involved in conducting  
13      your speech, such as your face and your mouth, your lips  
14      or your tongue.

15   Q. Can you imagine would there be any circumstance if  
16      Nicole Short said to you that she wasn't speaking  
17      normally, you saying that -- your saying that  
18      Nicole Short sounded all right to you and not writing  
19      that down?

20   A. I can't remember the exact details of the conversation,  
21      but I can't imagine why I wouldn't have noted down if

**TRANSCRIPT OF THE INQUIRY**

1                   she felt her speech wasn't normal.

2   MS MITCHELL: And you may have taken further steps if that  
3                   were so?

4   A. Possibly, yes.

5   LORD BRACADEL: Thank you, Ms Mitchell.

6                   Dr Mitchell, thank you very much for coming to give  
7                   evidence to the Inquiry.

8                   The Inquiry is going to adjourn in a moment and then  
9                   you will be free to go.

10                  Now, the next witness, Ms Grahame, is going to give  
11                  evidence remotely?

12   MS GRAHAME: That's correct, yes.

13   LORD BRACADEL: So what we will do I think is adjourn for  
14                  20 minutes and take an early break in order to make the  
15                  arrangements for the witness to give evidence remotely.

16   MS GRAHAME: Thank you.

17                  (10.58 am)

18                  (Short Break)

19                  (11.24 am)

20   LORD BRACADEL: Now, Ms Grahame, who is the next witness?

21   MS GRAHAME: The next witness is Dr Gillian Norrie and she

**TRANSCRIPT OF THE INQUIRY**

1           is joining us remotely, so we can now see her on the  
2           screen.

3   LORD BRACADE: Good morning, Dr Norrie. Can you see and  
4           hear me?

5           Dr Norrie?

6           I will try again. Dr Norrie, can you hear me?

7   A. Yes, I can hear you now.

8   LORD BRACADE: Thank you. And can you see me?

9   A. Yes, I can.

10   LORD BRACADE: That's fine, thank you. Good morning,  
11           you're going to give your evidence, as we know,  
12           remotely. You will be asked questions by Ms Grahame who  
13           is the Senior Counsel to the Inquiry.

14           Before that, I wonder if you could say the words of  
15           the affirmation after me.

16           DR GILLIAN NORRIE (affirmed)

17   LORD BRACADE: Now, the next face that you will see is  
18           Ms Grahame and she will ask you the questions.

19   A. Okay.

20   LORD BRACADE: Ms Grahame.

21           Questions from MS GRAHAME

**TRANSCRIPT OF THE INQUIRY**

1 MS GRAHAME: Thank you.

2 Good morning, Dr Norrie. I'm Angela Grahame.

3 A. Good morning.

4 Q. Your name is Gillian Norrie, is that correct?

5 A. It is.

6 Q. What age are you, Dr Norrie?

7 A. 50.

8 Q. And we have all of your contact details, so I'm not  
9 going to ask you to repeat that.

10 A. Okay.

11 Q. I'm going to be asking you about 3 May 2015, and you are  
12 here to help the Inquiry today because on 3 May 2015, as  
13 I understand it, you were working as a forensic medical  
14 examiner at Kirkcaldy Police Office, and that was a role  
15 that you had been doing since September 2014; is that  
16 correct?

17 A. That's correct.

18 Q. And could you explain to the people listening what  
19 a forensic medical examiner does?

20 A. Okay. So a forensic medical examiner is an independent  
21 doctor who assists the police. Usually it's to aid

**TRANSCRIPT OF THE INQUIRY**

1           gaining forensic evidence, so if there has been  
2           a situation where a case may go to court then I am  
3           involved in examining either victims or accused to  
4           document injuries and obtain forensic sampling.

5       Q.    You have told us in your statement to the Inquiry that  
6           you did many sexual assault allegations and you were  
7           commonly involved in that type of work.

8       A.    Yes. That is the most common reason that I was called,  
9           while working as an FME. However, sometimes you were  
10          called to road traffic accidents to assess fitness to  
11          drive and take samples for toxicology, or occasionally  
12          you may be called to assist an individual in custody who  
13          became unwell, who had complex medical needs, but yes,  
14          sexual assault was a big part of the job.

15      Q.    Thank you. Now, there are three statements I would like  
16          to refer to, first of all. Now, I don't know -- as you  
17          are remote, you may not have hard copies. Do you have  
18          those hard copies? You do, I hope.

19      A.    I think I might have two.

20      Q.    Well, let me go through them --

21      A.    I do have a folder, yes, I have a folder of information.

**TRANSCRIPT OF THE INQUIRY**

1           Q. Excellent, that's excellent news. Well, the first  
2           statement I would like to refer you to is one dated  
3           3 June 2015 and this was given at 14.35 hours. Now, we  
4           will see that here on the screen. You may also see it  
5           on your screen, but you should have the hard copy of  
6           that as well.

7           A. Yes, I have that.

8           Q. Perfect. So this is a statement that you gave to PIRC  
9           on 3 June 2015 at 14.35 and it was taken by DC Gilzean  
10           and DC Muir at St Leonards Police Station in Edinburgh.  
11           Is that the one that you have?

12           A. It is.

13           Q. And am I right in saying that you gave that statement on  
14           that day and that you would have -- it would have been  
15           read over to you, or you would have had a chance to look  
16           through it and then maybe sign it?

17           A. Yes, that's correct.

18           Q. And you could have confirmed you were happy with it, or  
19           you could have said you wanted to make changes.

20           A. Yes.

21           Q. Thank you. And were you doing your best at that time to

**TRANSCRIPT OF THE INQUIRY**

1 give a true and accurate account of what you had done on  
2 3 May 2015?

3 A. I was.

4 Q. And was your statement at that time given to the best of  
5 your memory?

6 A. It was.

7 Q. So if there's any differences between subsequent  
8 statements, or your evidence to the Chair today, should  
9 the Chair prefer this statement?

10 A. Yes.

11 Q. And then the second statement I would like you to look  
12 at please is dated 22 January 2018, so this was nearly  
13 three years after the events, again, given at St  
14 Leonards Police Station by Investigator Neil Robertson.

15 Do you see that one?

16 A. Yes, I have that.

17 Q. And I know that you have some comments to make about  
18 this statement and I will come to those shortly and we  
19 will deal with that during the course of your evidence.

20 A. Okay.

21 Q. And then the third thing I would like you to have a look

**TRANSCRIPT OF THE INQUIRY**

1 at is a statement you gave to the Inquiry, so SBPI 88,  
2 and that's dated 22 March this year. Do you have that?

3 A. Yes, I have that.

4 Q. And again, you have signed that?

5 A. Yes, I have.

6 Q. And if we look at paragraph 110, so that's on the last  
7 page, it says:

8 "I believe the facts stated in this witness  
9 statement are true. I understand that this statement  
10 may form part of the evidence before the Inquiry and be  
11 published on the Inquiry's website."

12 Then although we can't see your actual signature, we  
13 can see it has been redacted on the screen, but it was  
14 dated 10 May this year.

15 A. Yes, that's right.

16 Q. And so you have -- in giving this statement, you have  
17 done your best again to give a true and accurate record  
18 of your involvement in these events.

19 A. That's correct.

20 Q. Thank you very much.

21 Well, first of all, I would like to look at the

**TRANSCRIPT OF THE INQUIRY**

1 Inquiry Statement, which is on the screen, but you have  
2 your copy and if there's anything I'm not referring to  
3 you want to mention, please just let us know and we can  
4 get that put on the screen as well.

5 A. Okay.

6 Q. So you have told us about your role in May 2015 as  
7 an FME. Can I ask you to look at paragraph 11 first of  
8 all of your Inquiry statement.

9 A. Okay.

10 Q. And you have said here that it was unusual for you to be  
11 asked to become involved with the police, and you hadn't  
12 been asked to do that previously.

13 A. Yes.

14 Q. Sorry, examining police officers, I should say.

15 A. Yes.

16 Q. And then can we look at paragraph 21 as well and you  
17 say:

18 "It was very unusual for me to be asked to go along  
19 and examine police, so I said I'm not sure that's  
20 something that I should be doing and I want to check  
21 with my boss, so I phoned the clinical lead and asked

**TRANSCRIPT OF THE INQUIRY**

1                   her about it, and she said, 'Yeah, I'm not sure. It  
2                   does sound quite unusual but I would go along. There's  
3                   going to be a PIRC inquiry. You need to just go along  
4                   and do it'."

5                   And you made your way across to Kirkcaldy. So you  
6                   weren't based in Kirkcaldy at that time?

7                   A. No, so it's -- there are only two doctors on call at any  
8                   time when I was working there in the forensic service,  
9                   and we shared the workload. Generally I covered  
10                  Edinburgh and down towards borders area. However,  
11                  sometimes I did go across to Fife, if needs be, so I can  
12                  only assume that the job was allocated to me because the  
13                  other doctor on call was already engaged in other work,  
14                  so it could sometimes happen that I went across to Fife.

15                  Q. Thank you. So you would be on call and you would  
16                  receive a call and you would then travel to the relevant  
17                  police office to conduct whatever --

18                  A. Yes.

19                  Q. -- was required.

20                  A. Yes, or a sexual assault, I'm sure you know, we would do  
21                  an examination -- if, for instance, it was a sexual

**TRANSCRIPT OF THE INQUIRY**

1 assault, they didn't take place in police stations, they  
2 had -- there was an independent clinical area that they  
3 were done (inaudible overspeaking) --

4 Q. They were done in --

5 A. -- police stations.

6 Q. -- a separate suite?

7 A. Yes.

8 Q. And prior to giving this Inquiry statement that we could  
9 see on the screen here, I understand that the Inquiry  
10 team sent you copies of medical records to allow you to  
11 look at them, relating to officers that you examined  
12 that day, is that correct?

13 A. Yes, that was done via an internet, electronic viewing  
14 of that, yes.

15 Q. And you have detailed that in paragraph 13 of your  
16 statement?

17 A. That's correct.

18 Q. Thank you. And then if we could look at paragraphs 31  
19 and 32, you say that you were accompanied by a nurse,  
20 a female nurse, and you don't remember her name but she  
21 assisted you during your examination of the officers.

**TRANSCRIPT OF THE INQUIRY**

1           A. That's my recollection. It was a long time ago, but  
2           there was a forensic nurse present at some stage. I'm  
3           not sure if she stayed for the duration, but at some  
4           point there was someone assisting me.

5           Q. Thank you. And you have also said at paragraph 32 that  
6           she wrote down some details to speed up the process:  
7           names, dates of birth and addresses and so some of the  
8           writing in the notes is hers in relation to the  
9           preliminary details, but the rest of the writing in the  
10          notes is yours?

11          A. That's right.

12          Q. Thank you. And then can we look at paragraph 14,  
13          please, and you say having looked at them you were happy  
14          with the notes. You think generally all of them are  
15          yours with your signature at the bottom. They are  
16          a true and accurate record of what happened at the  
17          examination and you also told the PIRC -- told PIRC the  
18          truth in your two interviews, and that's your position  
19          to the Inquiry, that the record --

20          A. That's correct.

21          Q. Thank you. Now, subject to a few points that you have

**TRANSCRIPT OF THE INQUIRY**

1 mentioned and detailed in your Inquiry statement, that  
2 remains the position?

3 A. It does, yes.

4 Q. But let me just look at the areas where you weren't as  
5 comfortable and I think there are four areas and I would  
6 like the Chair to be made aware of those, so that he  
7 gets a complete picture of your understanding, so if we  
8 look first of all at paragraph 15. Now, this relates to  
9 the -- this is the second statement that you gave, the  
10 one on 22 January 2018, which was nearly three years  
11 later after these events, and you have said in that:

12 "... at the bottom of page 2 [of that statement, it  
13 is quoted in paragraph 15]: 'At the history that she  
14 provided prior to my examination concerning this  
15 contained in was provided to her by a colleague'.

16 I don't know what that sentence means. Obviously  
17 I speak to individuals. That's all part of the  
18 examination. We don't just bring a patient in and  
19 physically examine them. We have to speak to them and  
20 obviously gain information, gain the history and then  
21 sometimes that helps you direct your examination.

**TRANSCRIPT OF THE INQUIRY**

1 I have been asked if I would adopt this part of the  
2 statement. No, that's not something that I would have  
3 intended to say. I don't know why it was written like  
4 that. It doesn't make sense. How would I know it was  
5 provided to her by a colleague."

6 And so you have clearly explained your view on that  
7 passage within that statement to PIRC on 22 January, is  
8 that correct?

9 A. Yes.

10 Q. Because the sentence doesn't really read as if it makes  
11 sense?

12 A. No. Yes, it's quite ambiguous, it's not clear. I can't  
13 follow what was said. It doesn't make a lot of sense to  
14 me.

15 Q. But when you examined any officer, you would come in and  
16 you would speak to them and you talk about directing  
17 your examination; what do you mean by that?

18 A. It's very helpful to get some background from a patient,  
19 so that you can better focus on where potential injuries  
20 may be. However, that's not to say that you would only  
21 look at that area. You have to do -- adopt a very

**TRANSCRIPT OF THE INQUIRY**

1 systematic approach and look everywhere, but it is very  
2 helpful to have some background, so that if I do find an  
3 injury it makes me think about "Does that tie up with  
4 what happened? How did they obtain that injury?"  
5 Obviously individuals can have obtained injuries prior  
6 to events, have sort of older injuries as well  
7 sometimes, so it can just make it a bit more focused, if  
8 I know some background.

9 Q. Is it fair to say that you want to be thorough --

10 A. Yes.

11 Q. -- but you also want to focus on any immediate concerns  
12 that the patient themselves have?

13 A. That's correct.

14 Q. Thank you. Could we look at paragraph 16. We have that  
15 on the screen at the moment and we're still reviewing  
16 your PIRC statement of 22 January 2018:

17 "At the top of page 2: 'At the time I conducted the  
18 examination of the officers I was a Force Medical  
19 Examiner ... I no longer carry out that role as  
20 of November 2015. I am now working as a locum  
21 general practitioner covering all of Edinburgh'. That's

**TRANSCRIPT OF THE INQUIRY**

1 wrong, I stopped working there in 2017, two years later.

2 It's just a typo. Just to be correct. When you do  
3 locum general practice you're not on call for the whole  
4 of Edinburgh. I work in a few practices in Edinburgh.  
5 I'm a GP who's self-employed. I'm a senior GP. I'm  
6 fully qualified and I work for NHS Lothian on  
7 a self-employed basis usually at two or three regular  
8 practices in Edinburgh."

9 So again, that's a mistake in that statement and you  
10 wish that to be corrected.

11 A. Yes.

12 Q. Thank you. And can we move on to paragraph 17 and it  
13 says:

14 "At the bottom of page 2 [that's the PIRC statement]  
15 'amnesia' is a strange term. It's not something I would  
16 generally write. I would usually say, 'She didn't  
17 appear to be confused given the fact that she was  
18 orientated in time, place and person', but maybe I did  
19 say amnesia, maybe the police specifically asked me  
20 that. I'm happy to leave that."

21 So I just wanted to ask you about this. When you

**TRANSCRIPT OF THE INQUIRY**

1           were giving your statement to PIRC in January 2018 was  
2           it in response to questions that were being asked by the  
3           officers or the investigators?

4       A. Yes. I mean all of this is quite some time ago, but  
5           yes.

6       Q. So is it possible that it was the police, as you say,  
7           specifically asked you about amnesia, rather than a word  
8           that you volunteered?

9       A. Yes.

10      Q. Right. "Happy to leave that", but subject to that  
11           slight caveat?

12      A. Uh-huh, I would agree.

13      Q. And then finally paragraph 27, please:

14            "I have been asked whether, when Jane Combe  
15            contacted me, I was to be involved on a welfare basis or  
16            a forensic basis. I can't say. I think probably in my  
17            previous statement on 22 January 2019 [I think we're  
18            talking about a statement on 22 January 2018] one part  
19            is not entirely accurate at page 2. 'PI Combe I think  
20            provided me with the history of the incident involving  
21            the officers'. If I was being pedantic, I contacted the

**TRANSCRIPT OF THE INQUIRY**

1 forensic nurse who then informed me, so I don't think  
2 I did speak with her directly."

3 Now, can I just be clear: we've got the nurse who  
4 accompanied you in the examinations and we've got  
5 PI Jane Combe who is a female inspector. When you say  
6 "I contacted the forensic nurse who then informed me so  
7 I don't think I did speak with her directly", who are  
8 you talking about speaking with directly?

9 A. DI Combe. I didn't actually speak with her directly.

10 That information was given to me second-hand by the  
11 coordinating nurse for the forensic service who was  
12 allocating the job.

13 Q. Right. So there was a nurse who made the call to you to  
14 allocate the work to you?

15 A. That's right.

16 Q. And that's who you spoke with?

17 A. That's correct.

18 Q. And you didn't ever actually speak to DI -- Police  
19 Inspector Combe?

20 A. No. I had no interaction with her directly.

21 Q. So whatever information is there, it didn't come from

**TRANSCRIPT OF THE INQUIRY**

1                   Jane Combe?

2       A. No, that was -- that was given second-hand to me.

3       Q. Thank you. So you have talked to us about receiving the

4                   phone call. Could you look at paragraph 18, please.

5                   You tell the Chair there that you received the phone

6                   call, you accepted the work and you have also told us

7                   a nurse was with you and I think in another paragraph

8                   you say there was no specific order in which you were

9                   asked to examine the police officers at Kirkcaldy Police

10                  Office.

11       A. Sorry, is that paragraph 18 or page 18?

12       Q. Paragraph 18. I will refer to paragraphs.

13       A. Okay.

14       Q. And we will have the paragraphs come up on the screen.

15                   It makes it easier for us to see things.

16       A. Yes.

17       Q. And then there's also paragraph 23 and you talk about

18                   the nurse.

19       A. That's right. That was a nurse that was present in the  
20                   police station at Kirkcaldy when I arrived.

21       Q. Yes, that's lovely. And then can I ask you to look at

**TRANSCRIPT OF THE INQUIRY**

1           paragraph 26 and you say there:

2            "I had all the written notes and then the next day,  
3           so that it was still fresh in my mind, I generally do  
4           the dictation as quick as possible. I dictated all of  
5           those cases, dropped it off with the secretary at the  
6           Orchard Clinic. It was typed up and then checked by me  
7           a few days later, whenever the secretary had done the  
8           dictation. That was it."

9           And is that your -- was your normal practice  
10          in May 2015 regarding preparation of the notes?

11         A. Yes. It's always a good idea to do the dictation, the  
12           formal report as soon as possible. I wouldn't leave it  
13           a long time between examinations and compiling the  
14           formal report. So yes, that's the normal process for  
15           me.

16         Q. So you have talked about written notes and you have  
17           talked about dictation. Can you explain the sequence of  
18           events when you are preparing these notes?

19         A. So I take the written notes at the time of the  
20           examination. They're documenting history and  
21           examination findings and --

**TRANSCRIPT OF THE INQUIRY**

1 Q. Are those the handwritten notes?

2 A. They're handwritten. But a formal report is compiled  
3 thereafter and that's what I'm talking about with the  
4 dictation of my findings from the written notes.

5 Q. Thank you. Could we look at paragraph 35 please and 36,  
6 and you will see that paragraph 35 -- I'm going to be  
7 asking you questions about PC Nicole Short, not all of  
8 the examinations you conducted.

9 A. Okay.

10 Q. And you say you:

11 ".... can't remember how long I spent with  
12 PC Nicole Short. I'd have to look on my notes. I don't  
13 know if I've put times on for everyone. I actually  
14 think I worked late. I was only on call for a certain  
15 time so I was being efficient, so I may have missed the  
16 times in and out, and there was such a lot of  
17 examinations."

18 Having reflected on that now, do you have any sense  
19 of how long you spent with PC Nicole Short?

20 A. I think it was 25 minutes because when I actually was  
21 allowed to view my written notes, the times are

**TRANSCRIPT OF THE INQUIRY**

1           documented.

2   Q.  So you were -- you had actually taken the time to  
3        document the times in and out?

4   A.  Yes.

5   Q.  And then can we look at paragraph 36, please.  Do we see  
6        that you have also been shown your notes and there was  
7        a forensic examination record prepared and you have  
8        given us the times there.

9   A.  Yes.

10   Q.  I would like to --

11   A.  That's correct.

12   Q.  -- look at PIRC 01301, please, and we will look at the  
13       start of this, page 3 I think.  This is it.  And you  
14       will see there that this is headed up the "Forensic  
15       examination record" for Nicole Short, born 1986, and the  
16       date of examination is 3 May 2015, and the time of  
17       examination is 15.45 at Kirkcaldy, and it ends at 16.10.

18   A.  Yes.

19   Q.  Were those the entries that you said the nurse  
20       completed, or is that your handwriting?

21   A.  I think that's my -- can I have a quick look again?

**TRANSCRIPT OF THE INQUIRY**

1 I think it's my handwriting.

2 Q. Right. And then can we go further down the page,  
3 please. It says:

4 "Officer requesting: Inspector Jane Combe.

5 "Reason for examination: assault in line of duty."

6 And is this all your handwriting?

7 A. It is.

8 Q. And we see that the word "History" appears and it says:

9 "Called to incident 7.15 am 'Black man chasing  
10 cars'."

11 That's put in apostrophes:

12 "When arrived 2 colleagues spraying."

13 Then does it say:

14 "Nicole's colleague sprayed then Nicole took baton  
15 out but ran away as was chased. She was hit on head  
16 with fists, fell forward to hands on ground then back  
17 stamped on. Colleague arrived and ..."

18 I can't read the next word, sorry.

19 A. I can't see it. You would have to put it on the screen  
20 for me. I don't have it in the folder.

21 Q. Right. Anyway, it says "something" to van?

**TRANSCRIPT OF THE INQUIRY**

1           A. "Took to van I think".

2           Q. "... took to van to safety."

3                 And then:

4                 "To A&E to check up, observe and analgesia."

5                 And then you have put in capital letters:

6                 "Incident: individual restrained and died."

7                 So that was a history. Who provided that history at  
8                 that time?

9           A. Nicole Short.

10          Q. Right. And it says there then "Back stamped on", so  
11                 there's a mention of her back having been stamped on.

12          Do you see that in your writing?

13          A. I can't view it. You have to put it up for me. Thanks.

14          Q. Oh, right. Do you not have a hard copy --

15          A. I don't have that. I don't have any of my actual  
16                 original medical notes in the folder.

17          Q. That's absolutely fine. I can read things out.

18                 Now, as we move on to page 4, so if we can move down  
19                 the screen please -- keep going, please. Then there's  
20                 a -- on page 4 you have detailed the injuries. Are  
21                 these the injuries that you noted at the time during

**TRANSCRIPT OF THE INQUIRY**

1                   your examination?

2       A. They are.

3       Q. Right. And can we -- I won't go through those in  
4                   detail. There's no mention of back there, so it says  
5                   right knee, left knee and left hand, all right?

6       A. Mm-hm.

7       Q. And then if we can look at page 5 it reads:

8                   "Tender [right] occipital area and [right] mastoid  
9                   no injuries noted but tender on palpation."

10                  And then:

11                  "Tender [right] cervical spine, no injuries seen."

12       A. Yes.

13       Q. And then there's a GMC number at the bottom?

14       A. Yes, that's my registration.

15       Q. That was your registration. So there was no reference  
16                  in those notes of your examination of an injury having  
17                  been noted by you to her back?

18       A. That's correct.

19       Q. Right. And does that mean that you didn't see or find  
20                  an injury to her back?

21       A. Yes.

**TRANSCRIPT OF THE INQUIRY**

1           Q. And can you tell us how your examination was conducted  
2           please? What's your normal practice?

3           A. Normal practice is to take some vital signs, some  
4           observations, so blood pressure, temperature, things  
5           like that, heart rate, obviously obtain consent first  
6           and then conduct a general physical examination which  
7           would entail, you know, checking their understanding,  
8           their neurological status, certainly if there was a head  
9           injury, listening to their chest, listening to their  
10          heart and lungs, feeling their abdomen, and then in  
11          terms of the injuries, what we do is a very systematic  
12          approach, so we start from the head and work down to the  
13          feet and looking at the surface area and documenting any  
14          injuries that are found.

15          Q. We have heard the phrase that doctors do a top-to-toe  
16          examination. Is that what you're describing when you  
17          say the head to the feet?

18          A. That's right.

19          Q. And can you confirm if you examined Nicole Short's back?

20          A. I did.

21          Q. Did you examine it as far as her lower back into her

**TRANSCRIPT OF THE INQUIRY**

1                   kidney area?

2   A. Yes, I did, as I say, a top-to-toe examination, so  
3                   I worked systematically down from the head to the bottom  
4                   of her body to her feet.

5   Q. Had you found any injury, bruising, marks, discomfort,  
6                   tenderness, is that something that you would have noted?

7   A. Yes.

8   Q. If PC Short had complained of pain in a particular area  
9                   of her body, including her back, or to her right side,  
10                  is that something that you would have noted?

11   A. It is. That was the purpose of my being there, to  
12                  document the injuries, so yes.

13   Q. Thank you. Can I ask you to look again at your Inquiry  
14                  statement, paragraph 55, and you were asked about your  
15                  examination of PC Short and you say:

16                  "Sometimes you could give the Glasgow Coma Scale but  
17                  that's not something that routinely we would do for  
18                  observations unless there was concerns about her  
19                  neurological status."

20                  What do you mean when you say "concerns about her  
21                  neurological status"?

**TRANSCRIPT OF THE INQUIRY**

1           A. If I was worried about her -- how she was  
2           neurologically, so if she was presenting after being hit  
3           in the head in a way that gave concern, so such as  
4           behaviourally, if she was irritable, or inappropriate,  
5           disinhibited, or she was drowsy, things like that would  
6           obviously prompt me more to look at the GCS, to document  
7           the GCS, but her GCS was 15, it was 15 out of 15, there  
8           was no concern about her neurological status when I saw  
9           her. I do recall that.

10          Q. Thank you. I'm correct in understanding that 15 out of  
11           15 is normal?

12          A. That's correct.

13          Q. If you had seen any changes in her speech or the way she  
14           was speaking, is that something you would have noticed  
15           or noted?

16          A. Absolutely.

17          Q. Were there any signs at that stage, when you saw her,  
18           that she had suffered a loss of consciousness?

19          A. I mean that's a very difficult one to answer. I'm not  
20           sure I could really say one way or another. Sometimes  
21           individuals can lose consciousness and then be fully

**TRANSCRIPT OF THE INQUIRY**

1 conscious when you see them, so there's nothing really  
2 subsequently that would be obvious to correlate both of  
3 those things, but I can say that I didn't have concerns  
4 about her neurologically when I saw her. I couldn't say  
5 with certainty she had had an episode of loss of  
6 consciousness, if that makes sense.

7 Q. Yes. There was nothing at that time that you noted that  
8 gave you any cause for concern?

9 A. There was nothing.

10 Q. Thank you. Can we look at paragraph 58, please. You  
11 have been asked about her chest and you say this:

12 "... is just shorthand for examining her respiratory  
13 system. That's really looking at the lungs, listening  
14 to the lungs. I'm just saying that it's clear, there's  
15 no crackles, or there's no reduced air entry which might  
16 indicate things like collapsed lung, so that's a normal  
17 respiratory examination."

18 A. It is, yes.

19 Q. And when you check someone's lungs, are you checking the  
20 front of their chest or the back of the chest or both?

21 A. Both of those things.

**TRANSCRIPT OF THE INQUIRY**

1           Q. Right. So what people such as myself would commonly  
2           call your back, you're actually looking at her back?

3           A. Yes, it's often referred to as chest examination when  
4           you're listening in the back, listening to the lung  
5           fields, yes.

6           Q. Thank you. And would you please look at paragraph 60.  
7           You say:

8                 "You can't examine the chest over clothes. You  
9           wouldn't be able to hear properly. I mean I don't  
10           remember specifically but I can't do a respiratory  
11           examination through clothes. I would have lifted her  
12           top and listened to her chest."

13                 And is that your recollection of what you did that  
14           day?

15           A. Yes, it is.

16           Q. So could you see her skin at that point?

17           A. Absolutely.

18           Q. And again, if you had noted any marks or injuries, or  
19           tenderness or discomfort, is that something you would  
20           have noted?

21           A. It is, but it's better to do the physical examination

**TRANSCRIPT OF THE INQUIRY**

1           first and then be more thorough to then do the actual  
2           head to toe documentation of injury afterwards, so yes,  
3           I may have listened to her chest and be listening to the  
4           breath sounds and things like that, if she would have  
5           said "That hurts, I'm comfortable there", I would be  
6           aware of it, but that would be unusual to combine both,  
7           you would usually split it up, to do a physical  
8           examination, as I said, and then document injuries  
9           afterwards.

10          Q. So physical and injuries, you look externally and listen  
11           are internally as part of your examination?

12          A. Yes, so you do a physical examination, as I said, sort  
13           of with your stethoscope and feeling for things in the  
14           lung and the chest and the abdomen, whatever you're  
15           doing, but then I would do a separate systematic  
16           approach to the documentation of the injuries  
17           thereafter. Otherwise it becomes messy, it's difficult  
18           to make good notes if you try and combine both.

19          Q. Thank you. Can we look at the paragraph just above,  
20           number 59. It says:

21           "'CVS', that's the cardiovascular system. That was

**TRANSCRIPT OF THE INQUIRY**

1 just the heart sounds are normal. There's no evidence  
2 of murmur. Her abdomen was soft and non-tender. There  
3 were no masses there, so no lumps anywhere, but again  
4 a normal examination of the abdomen."

5 Can you explain exactly what you mean when you say  
6 abdomen?

7 A. An abdominal examination is looking at -- examining the  
8 area below the diaphragm, so below the chest down to the  
9 pubic area, so, you know, you're feeling it, making sure  
10 that it feels normal, feels soft and listening with your  
11 stethoscope as well, so it's just doing the routine  
12 abdominal examination.

13 Q. Thank you. Does that include your sides as well, what  
14 I would consider my left side or my right side, or is it  
15 only at the front?

16 A. I don't -- I think if you're referring to feeling into  
17 the kidney area there I don't think I specifically  
18 examined her kidney. I can't say one way or another.  
19 It doesn't always.

20 Q. And would you have asked her to lift or remove her  
21 clothing in order to complete this examination?

**TRANSCRIPT OF THE INQUIRY**

1           A. Yes.

2           Q. Thank you. Could we look at paragraph 63. You say:

3                 "I'd look for injuries after, but, I would need to  
4                 listen to her back anyway to do her chest examination,  
5                 so if there were injuries I would see them. Then  
6                 I would specifically look for it in the next part as  
7                 well. This is to better document the examination,  
8                 because it's going to confuse things. I have to have  
9                 a systematic approach. I want to get the physical out  
10                 of the way and then do the injuries next."

11                 So does that mean the top-to-toe examination and  
12                 then look for specific injuries if there's a complaint  
13                 of those?

14           A. So as per -- the top-to-toe examination is the physical  
15                 examination. You're looking at the surface area of the  
16                 skin and documenting the injuries as you go.

17           Q. Thank you. Can we look at paragraph 64, please. You  
18                 will see that the medical records 01301 are actually  
19                 listed here by you, so you have in your Inquiry  
20                 statement a record of what is contained in the report.  
21                 Do you see that?

**TRANSCRIPT OF THE INQUIRY**

1           A. Yes.

2           Q. Right. And then you continue to discuss those injuries  
3           up to paragraph 74, so you will have the copy, hard copy  
4           of your Inquiry statement and we could maybe go through  
5           those just to look at those briefly.

6           A. Mm-hm.

7           Q. So if we could scroll through to paragraph 74. Can  
8           I just say, are you content that those paragraphs 64 to  
9           74 contain what you want to say about those entries  
10          about the injuries?

11          A. Yes.

12          Q. Thank you. Can we look at paragraph 75. You have been  
13          specifically asked about injuries to the back or rib  
14          cage and 75 says:

15                 "I have been asked if there are any notes of  
16                 tenderness of the back or the rib cage. There are none  
17                 at all. I don't document all negative findings.  
18                 There's nothing in the shoulder, there's nothing in the  
19                 loin. You're documenting injuries. That's where the  
20                 injuries are felt or seen. I have been asked to comment  
21                 on the position that I was seeing a patient whose back

**TRANSCRIPT OF THE INQUIRY**

1           was said to have been stamped on and I have not made any  
2           notes about any injuries relating to that. My feeling  
3           on that is because there's none. I've documented the  
4           injuries that I have found."

5           So can I just be clear: you are looking for injuries  
6           and if you see any, you document them in your notes?

7       A. That's correct.

8       Q. And you are also listening to the patient, so if they  
9           complain of pain or discomfort or having been injured in  
10          a particular area, you also note that?

11      A. Yes, so I'm looking and I'm feeling for tenderness.

12      Q. And if you find that tenderness, you are going to note  
13          that down in your records?

14      A. That's correct.

15      Q. And even if you didn't find it, if someone complained of  
16          it, if the patient complained of it, you would also note  
17          that down?

18      A. I would. If I can just clarify that, although we get  
19          the background history to help better direct the  
20          examination, I'm still doing a thorough examination  
21          because an individual might not be aware they have

**TRANSCRIPT OF THE INQUIRY**

1           actually been hurt in a certain place. Sometimes that  
2           just becomes evident a bit later on, so I'm feeling --  
3           I'm examining thoroughly and feeling down the back to  
4           make sure that there are no areas of injury.

5       Q.   Thank you. So you're not just relying on the patient,  
6           you're also checking that independently yourself?

7       A.   Absolutely.

8       Q.   And in this particular record and in this particular  
9           examination of PC Short, there were no injuries noted in  
10          relation to her back, or her abdomen, or her -- in that  
11          general area.

12      A.   That's correct. At that time, when I saw her there was  
13          nothing to document in terms of injuries in those areas.

14      Q.   Thank you. Then paragraph 76 you say:

15            "I can't say with absolute certainty, but my feeling  
16          is that I would have felt around all those areas,  
17          especially given the fact that she told me that she was  
18          stamped on in her back. That's the whole reason why I'm  
19          asking that history. I'm not a police officer, I'm not  
20          taking the history because it's my job to find out the  
21          rights and wrongs of that. The reason is I want to know

**TRANSCRIPT OF THE INQUIRY**

1 what her involvement was in the incident to best direct  
2 my examination. I have to assume that I have felt all  
3 of her areas. I'm just documenting the positives that  
4 I've found."

5 And is that your feeling today?

6 A. It is.

7 Q. Right. So you're there to do your job and the reason  
8 for taking the history and doing the examination is to  
9 note any injuries that she may have sustained that day?

10 A. Absolutely. I mean that's my role, that's why I was  
11 there, so yes.

12 Q. Thank you. Then can we look please at -- for  
13 completeness -- PIRC 01310, and if we can look at the  
14 first page and do you recognise this, can you see that  
15 on the screen, it's a forensic medical report on  
16 PC Short, Nicole Short?

17 A. Yes. I don't have that in the folder but I can look at  
18 it on the screen.

19 Q. Thank you. It's really just to confirm that this is the  
20 report that you described --

21 A. That's right.

**TRANSCRIPT OF THE INQUIRY**

1           Q. -- dictating, at least the next day or within a few  
2           days.

3           A. That's correct. That's the report.

4           Q. And I think in your statement, at paragraph 79, you say  
5           it was dictated, or it may have been dictated on 7 May  
6           and we see at the top of the screen that the date given  
7           is 7 May?

8           A. Okay, that may be the date it was typed.

9           Q. And can that differ from the day that you have dictated  
10           it?

11          A. Yes.

12          Q. And why would -- could you explain why?

13          A. I'm not entirely sure if it that's the secretary's date  
14           when she did it, or that's the date that I dictated it,  
15           because clearly I have seen the patient before that on  
16           the original handwritten notes. I think that's the date  
17           that the secretary types it.

18          Q. And can there be a number of days between you dictating  
19           it and giving the tape to your secretary for  
20           transcription?

21          A. Yes, theoretically that's possible, but, as I say,

**TRANSCRIPT OF THE INQUIRY**

1 I think the dates do correlate very closely to one  
2 another: the date it was typed and the date that I saw  
3 the patient, but yes, it's up to the FME when they do  
4 their dictation, but as I said earlier, I like to get it  
5 done while it's all fresh in my memory.

6 Q. But in any event, it's based on your recollection, your  
7 memory and your notes taken at the time?

8 A. Yes. It's basically the notes that you're dictating.

9 Q. Thank you. Can I ask you to go back to your Inquiry  
10 statement, please, paragraph 80, and we will just get  
11 that on the screen now. You say you have been referred  
12 to page 3 of the report:

13 ".... on the instructions of Chief Inspector  
14 Conrad Trickett ..." I have been asked if he was the  
15 senior officer I referred to earlier in my statement as  
16 being present on my arrival at Kirkcaldy Police Station.  
17 I think so."

18 So earlier in your statement you mention arriving at  
19 Kirkcaldy Police Office and meeting with a senior  
20 officer --

21 A. Yes.

**TRANSCRIPT OF THE INQUIRY**

1           Q. -- and in the report we have just looked at you mention  
2           the name Conrad Trickett.

3           A. Mm-hm.

4           Q. Can you tell us when you arrived at Kirkcaldy Police  
5           Office how you were briefed on what your job was to be  
6           that day and who did that: was it Chief Inspector  
7           Trickett?

8           A. To be perfectly honest with you it was such a long time  
9           ago and obviously I may not have documented the whole  
10          process of actually getting out of my car and getting  
11          into the station and who met me and so on. My  
12          recollection is that I arrived and was met by someone --  
13          an officer and taken through to the area where I was to  
14          conduct the examinations and then the senior officer,  
15          who I think was Chief Inspector Conrad Trickett --  
16          I have obviously got his name -- just basically it was  
17          an introduction and a sort of "Thanks for coming", but  
18          I don't think I got any background from him.

19           Q. All right, thank you.

20           A. I don't think that's documented and I don't recall  
21          getting any more information from him, other than just

**TRANSCRIPT OF THE INQUIRY**

1 acknowledging I had arrived and thanking me for coming.

2 Q. Thank you. Can we look at paragraph 84 of your Inquiry  
3 statement. You say:

4 "I have been referred to my report at page 4 . . ."

5 That's the report we just looked at, and you are  
6 referring to Nicole Short and you say:

7 "'... she was composed and behaved appropriately  
8 throughout'. She'd had a head injury, so I have  
9 concerns and have to think when I'm looking and speaking  
10 to an individual: are they displaying any signs that  
11 would lead me to be concerned about them, and that can  
12 obviously manifest by speech, how people are, how people  
13 behave. People often have had received a head injury  
14 and are behaving quite erratically, where that's been  
15 missed and terrible things happen. So her behaviour was  
16 appropriate. Her manner would have been appropriate,  
17 how she spoke would have been appropriate. It didn't  
18 indicate to me that I had any concerns about her  
19 neurological status. That's what I'm saying there."

20 And that's something that you comment on in the  
21 report that we just looked at?

**TRANSCRIPT OF THE INQUIRY**

1           A. Yes, absolutely. I mean she -- there was -- obviously  
2           I had been told that she had been hit on the head, she  
3           had gone to the A&E with a head injury, so that's  
4           something that -- it's important when I'm examining that  
5           individual to bear in mind.

6           Q. And you're looking out for that?

7           A. I am.

8           Q. Thank you. Can we look at paragraph 87, please. You  
9           say:

10            "I am qualified to comment on bruising that can  
11           evolve over time. I have been asked what I would say  
12           about potential bruising in a person whose back has been  
13           stamped on, possibly several times. I'm not an expert  
14           in that. I don't feel I can comment on that. But  
15           certainly I haven't documented any tenderness there."

16           Now, you say that you are qualified to comment on  
17           bruising that can evolve over time and I would be very  
18           interested if you could share some of -- share an  
19           explanation of how bruising evolves over time.

20           A. So what bruising is is bleeding after trauma to the  
21           tissue, there will be bleeding beneath that area, sort

**TRANSCRIPT OF THE INQUIRY**

1 of capillaries will leak and blood will leak out, that's  
2 often why an area can become red after an impact and  
3 that can take some time to develop, so it might not be  
4 evident immediately. Sometimes it evolves over sort of  
5 one or two days and will actually develop into a bruise.  
6 Just -- what I wanted to be clear about really when  
7 I was asked specifically about that is that there were  
8 no injuries at the time of seeing Nicole Short in terms  
9 of bruising to her back, but that's not to say that she  
10 couldn't go on to develop bruises.

11 Q. Can you explain what causes a bruise to happen, to  
12 occur?

13 A. A force applied to the -- an impact of force applied to  
14 the tissue will cause bleeding under the tissue and into  
15 the skin and cause a bruise to develop, so it's blood  
16 that will leak out, and when it bruises, it's the blood  
17 that's changing colour as the particles are being  
18 reabsorbed, so that can take some time, but as I say,  
19 I'm not an expert. I was asked could I comment on the  
20 bruise and I feel I could, but I'm not an expert in  
21 that.

**TRANSCRIPT OF THE INQUIRY**

1 Q. No, no, that's sufficient for our purposes, thank you.

2 Had you -- can I ask you to comment on paragraphs 88  
3 and 89, please. This relates to loss of consciousness  
4 in Nicole Short and you say -- you were asked whether  
5 you can remember if there was anything to suggest a loss  
6 or potential loss of consciousness and you say you can't  
7 comment on that:

8 "Certainly if someone's been unconscious you're not  
9 always going to find something a couple of hours later.  
10 She did go to the A&E. She was taken to the A&E because  
11 of a head injury, or she was taken there to be looked at  
12 because there was concern. And she'd been seen in the  
13 right place, in the emergency department, who look at  
14 these injuries and injuries all the time and had no  
15 concerns about her."

16 So you were aware at that time she had been to the  
17 A&E, they had assessed her for a head injury and  
18 discharged her. We understand they discharged her with  
19 advice in relation to a head injury?

20 A. A device? I didn't know about that. But she had told  
21 me in the background, as is documented in my written

**TRANSCRIPT OF THE INQUIRY**

1 notes, that she went to the A&E and they had said that  
2 she should be observed but she wasn't admitted to my  
3 knowledge.

4 Q. And be observed, does that mean by a member of her  
5 friends or family?

6 A. That's generally the case when an individual has had  
7 a head injury and is discharged from the A&E, they  
8 usually make sure there's someone at home with them.

9 Q. And so that is the advice that was given by them and  
10 that's normal if you are suspected of having had a head  
11 injury?

12 A. Oh, I'm sorry, I thought you said they gave her  
13 a device; they gave her some advice, yes, that's  
14 completely normal, absolutely.

15 Q. Sorry, it must just be the connection maybe wasn't quite  
16 as good there.

17 A. Yes.

18 Q. No device was given at any time as far as I'm aware.  
19 Thank you for clarifying that.

20 Can we look at the next paragraph, please,  
21 paragraph 89, and then you say:

**TRANSCRIPT OF THE INQUIRY**

1                 ".... sometimes neurological symptoms can evolve.  
2                 I'm not an expert on this. Sometimes things can evolve  
3                 over time. There was nothing that I had concern about  
4                 at that time. If I had, then I would have directed her  
5                 to the A&E. I would have managed her appropriately.  
6                 You do that all the time as a GP. If anyone's got any  
7                 problem with a loss of consciousness, they go straight  
8                 to the A&E. I'm not going to manage it, as a GP. I'm  
9                 not going to manage it in a police station. She'd be in  
10                 the A&E and she had gone to the A&E, but I think, my  
11                 understanding from what she said the A&E said, she just  
12                 had the observation. When I saw her, the second doctor  
13                 on the scene, again I didn't have clinical concern at  
14                 that time, but things can evolve."

15                 So as you note there, neurological symptoms can  
16                 evolve and things can change over time, but when you saw  
17                 her at 3.45 on 3 May 2015 you did not have any concerns?

18                 A. No concerns.

19                 Q. No concerns. And if you had had concerns, you would  
20                 have sent her straight back to A&E?

21                 A. Absolutely.

**TRANSCRIPT OF THE INQUIRY**

1           Q. Thank you. I would like to ask you some further  
2           questions in relation to another report, please. So  
3           look at paragraph 25 of your Inquiry statement first of  
4           all, and do we then see that:

5                 "Then I think after that, I can't recall exactly the  
6                 timeline, I was again asked by an officer, a detective,  
7                 I think, to examine another individual who had been with  
8                 the deceased earlier on in the early hours, I think.  
9                 I haven't seen those notes that I compiled since then.  
10               They'll be with Orchard Clinic. I was asked to examine  
11               him and I think take some swabs or something. Then  
12               I went home."

13                 So this was a separate individual,  
14                 a non-police officer, that you were also asked to  
15                 examine?

16           A. Yes.

17           Q. Can we look --

18           A. Yes.

19           Q. -- please at PIRC 01319 and I think page 3 again will  
20                 probably be the start. Do we see that this relates --  
21                 this is a report by you dated -- it says dictated on

**TRANSCRIPT OF THE INQUIRY**

1           4 May and it is dated 8 May.

2       A. Yes.

3       Q. And it's in relation to Zahid Saeed, born 1983. Is that  
4           correct?

5       A. Yes, I can see that, yes.

6       Q. And we can see that --

7       A. Can I just say, going back to what we said before,  
8           sorry, I haven't seen these formal reports for quite  
9           some time, but in the top right-hand corner there, there  
10          is a date where it is dictated and --

11      Q. I just noticed that.

12      A. -- in that other statement we were talking about before.

13      Q. I just noticed that.

14      A. So that's just to clarify on that.

15      Q. I have just put a red star round that bit myself. Let's  
16          go back to PIRC 01310 for the moment and see if we can  
17          solve that mystery. Ah, so indeed -- I should have  
18          asked for the screen to be further down. We can see on  
19          this one, 01310, it is dictated on the 4th. So it gives  
20          date of examination, 3 May, dictated on 4 May, as you  
21          indicated earlier, and then typed -- presumably 7 May is

**TRANSCRIPT OF THE INQUIRY**

1                   the date it was typed.

2       A. Yes, so that's the secretary's date, as I have said.

3       Q. So this report which was prepared on Nicole Short was  
4                   dictated the day after the examination.

5       A. Yes. It looks like it.

6       Q. Thank you. Let's go back to PIRC 01319, please, and if  
7                   we could just go up -- thank you. It says:

8                   "Background information from DC Simon Telford."

9                   So will this have been the senior officer,  
10                  detective, or the officer, Simon Telford --

11       A. Yes.

12       Q. -- who asked you to carry out this examination?

13       A. Yes, that must be the name of the detective that we  
14                  alluded to earlier.

15       Q. Thank you. Can we just read that passage please, if we  
16                  come down the screen slightly:

17                   "The victim Zahid was watching a boxing match last  
18                  night with the deceased, Sheku Bayoh. They apparently  
19                  had a few drinks of alcohol. They had an argument and  
20                  Zahid parted company with Mr Bayoh, however he later  
21                  returned to Mr Bayoh's house. At that point Zahid Saeed

**TRANSCRIPT OF THE INQUIRY**

1 reported that Mr Bayoh attacked him and hit him over  
2 the head about five times. He ran away but was chased  
3 and Mr Bayoh hit him with a whirly-gig outside in the  
4 garden. Zahid Saeed went to the A&E in Kirkcaldy at  
5 midday for a review."

6 And is that the background information that you  
7 received from DC Telford at that time?

8 A. Yes.

9 Q. Thank you. Now, in fairness, we have an Inquiry  
10 statement from Zahid Saeed which is SBPI 71 and I will  
11 just very briefly show you paragraph 20, and this is  
12 a signed statement from Zahid Saeed and paragraph 20  
13 makes it clear that he -- he is talking about his  
14 friend, Sheku Bayoh, and it says, fourth line down:

15 "He did throw the washing line pole but it missed  
16 me. I said 'Shek, this is not you'. I was shouting  
17 that at him. I was shouting 'stop' and 'what are you  
18 doing?'"

19 So thank you, that's fine. If we can go back to  
20 PIRC 0139, please. So you have been given the  
21 information from DC Telford that it was a whirly-gig.

**TRANSCRIPT OF THE INQUIRY**

1           The up-to-date information that the Inquiry has appears  
2           to be that it was a washing line pole. I don't know if  
3           it that will make any difference at all?

4       A. I don't know. I mean I don't really know what  
5           a whirly-gig is. I think it is some sort of laundry  
6           device, you know, for washing -- for gardens, that moves  
7           round, but that -- I was given that information so  
8           that's something I was told.

9       Q. Thank you. Do we see that the examination was commenced  
10          at 18.30 hours, half past 6? We should have the report  
11          back on the screen.

12      A. Yes.

13      Q. And Zahid Saeed had:

14           ".... poor eye contact, his speech was normal but  
15           quiet. He was orientated in time, place and person."  
16           We may have heard that phrase mentioned previously  
17           with other people. What does it mean "orientated in  
18           time, place and person"?

19      A. It's a useful phrase to indicate if there's any concern  
20          about confusion. It means that he can give you his  
21          name, he knows who he is, he knows where he is, what

**TRANSCRIPT OF THE INQUIRY**

1 time it is. He is not confused.

2 Q. Thank you. Then can we go on to page 4, please, and  
3 here you have noted again:

4 "A full body surface examination was conducted and  
5 the following injuries were noted."

6 And you have listed six injuries that were noted  
7 there by you as a result of your examination.

8 A. Okay.

9 Q. Then we see "Opinion":

10 "A bruise is caused by blunt force trauma such as  
11 a knock, blow or pressure on the skin. It will change  
12 colour over a passage of time. It can cause swelling.  
13 There was [no] evidence of swelling and tenderness in  
14 this gentleman's scalp which are not showing signs of  
15 bruising as yet but obviously this could change over  
16 time."

17 I think that's consistent with what you have already  
18 told us about bruising and how the colour changes and  
19 things change over time?

20 A. Yes. I think you might have read out there was no  
21 evidence of swelling; it says there was evidence of

**TRANSCRIPT OF THE INQUIRY**

1           swelling.

2   Q. Oh, sorry, sorry, that will be my mistake:

3           "There was evidence of swelling and tenderness in  
4           this gentleman's scalp which are not showing signs of  
5           bruising as yet but obviously this could change over  
6           time."

7           Thank you. Sorry, I misread that.

8   A. No, that's okay, just to clarify.

9   Q. And:

10          "Similarly the swollen area on his face (the maxilla  
11          area) may well change and become more discoloured over  
12          a period of time and develop into an obvious bruise as  
13          the days progress."

14          And is that days as in more than one day?

15   A. Yes, I mean it can take a couple of days, one or two  
16          days for bruising to really develop and it can take  
17          obviously quite a bit longer for it to fully resolve.

18   Q. Thank you. And do you see:

19          "Again this is consistent with trauma. I informed  
20          DS Telford of my findings."

21          And then you mention that forensic samples were

**TRANSCRIPT OF THE INQUIRY**

1           taken at the request of CID and you talk about the  
2           various samples that were taken by you during your  
3           examination.

4           A. Yes.

5           Q. And then can we just move up, and you then give some  
6           general advice about management and then you have signed  
7           that on 1 June 2015.

8                   Can I go back to the injuries briefly and ask you  
9                   one or two questions, on page 4, sorry. Thank you,  
10                  that's lovely. You talk about the:

11                 "Right maxilla 2cm swelling, tender on palpation,  
12                 normal colour.

13                 "Top lip internal ... laceration..."

14                   And then you mention "Right of frenulum"; where is  
15                   the frenulum?

16           A. It's a little tag of tissue of skin beneath the lip in  
17           the mid-line.

18           Q. Top lip?

19           A. Top lip, underneath there is a small piece of tissue  
20           there connecting the actual lip to the gum.

21           Q. Thank you. And then there was mention of an injury to

**TRANSCRIPT OF THE INQUIRY**

1                   the hand, I think.

2       A. Mm-hm.

3       Q. Can you explain to us:

4                   "Left hand dorsal aspect a 4 cm linear abrasion in  
5                   the vertical plane. 3 cm superior to the third  
6                   posterior metacarpophalangeal joint."

7       A. (Inaudible) joint.

8       Q. And that's number 5. Can you point out on your own hand  
9                   where that abrasion was apparent?

10      A. Was it the right-hand it said?

11      Q. It says left hand dorsal aspect?

12      A. Left. So it is the back of the hand (indicating), sort  
13                   of just down from the knuckle there.

14      Q. Thank you.

15      A. A few centimetres down and running vertically.

16      Q. Thank you very much. And then can we go back to your  
17                   Inquiry statement please and paragraph 97:

18                   "I have been asked for my opinion on whether Zahid  
19                   Saeed's injuries match his account of what had happened  
20                   in the incident. He's obviously received some trauma to  
21                   the face, so he could have been hit. That would marry

**TRANSCRIPT OF THE INQUIRY**

1 up. He could get injuries from another incident, but if  
2 he was hit over the head, he could have some of the  
3 injuries that were there. Often you get injuries with  
4 the knuckles from punching and fighting but that's one  
5 at the back of the hand. I'm not sure how he's got  
6 that. I have been asked if that could have been  
7 a defensive injury. It's possible."

8 And so you couldn't find any injuries on his  
9 knuckles which would be indicative of punching or  
10 fighting, using his hands?

11 A. Mm-hm.

12 Q. Is that correct?

13 A. Yes, that's -- I mean, again, this was a long time ago,  
14 but that's what's documented in the report.

15 Q. And the injury on the hand you have said it's possible  
16 that that could have been a defensive injury?

17 A. Yes.

18 Q. Thank you.

19 A. I mean, I was asked about that specifically and it could  
20 be.

21 Q. Do you know -- can you explain to the people listening

**TRANSCRIPT OF THE INQUIRY**

1                   what a defensive injury is?

2       A. When you're trying to protect yourself, so if you put  
3                   your arm up over your head as you're being hit, you're  
4                   defending yourself.

5       Q. And if you're then struck --

6       A. Yes.

7       Q. -- thank you. And then can we look at paragraph 99  
8                   please:

9                   "I have been asked whether there was anything about  
10                  the fact that Zahid Saeed had been hit, potentially in  
11                  the head, with the whirly-gig, that would make you think  
12                  I had to be a bit careful about his account or how he  
13                  was feeling, because he might have suffered a head  
14                  injury. He'd been to the A&E as well. He went to the  
15                  A&E first. He'd been seen by the experts before I saw  
16                  him in terms of who should look at his injuries.

17                  I don't really feel it's my role. I mean I'm not taking  
18                  a police statement, so I didn't have concerns about his  
19                  neurological status when I saw him in terms of from  
20                  a medical perspective. My feeling is all about safety  
21                  and patient safety. If I had concerns, I would send him

**TRANSCRIPT OF THE INQUIRY**

1 back to the A&E but he told me he had been to the A&E.  
2 His account helps better direct my examination, but  
3 I should still examine everything for completeness  
4 anyway. So that's not really something that is part of  
5 my role."

6 So again, is this entirely in line with what you  
7 have already told us today?

8 A. Yes, I think all I'm saying there is I was asked  
9 specifically about, you know, how accurate his account  
10 was and in terms of police evidence and it's not really  
11 my role, as I was trying to just clarify. My position  
12 there was to assess him from a medical perspective.

13 Q. So your focus was about the patient and his --

14 A. Yes.

15 Q. -- medical issues.

16 A. It was.

17 Q. And then can we look at paragraphs 100, 101 and 102, and  
18 you were asked about your involvement with PIRC and that  
19 relates to giving your statements to PIRC.

20 A. Yes.

21 Q. And you have said that -- can we move the screen down

**TRANSCRIPT OF THE INQUIRY**

1 please and you were working at St Columba's Hospice in  
2 Edinburgh at the time when PIRC contacted you. This  
3 would be in 2018?

4 A. Yes.

5 Q. And you were working there and you say at 101:

6 "I did feel the PIRC interview was quite  
7 confrontational, if I'm being honest. They were not  
8 quite suggesting answers, but it was possibly slightly  
9 intimidating. I was under caution, but that's maybe  
10 putting it too strongly. I mean I was quite surprised  
11 with the line of questioning. It's not really my role  
12 to be cross-examining patients. I'm there in a capacity  
13 to do a forensic examination and to assess a patient's  
14 wellbeing, physically and mentally. It's not for me to  
15 cross-examine patients."

16 And then at 102 you go on to say:

17 "So if I get an account and I have no other  
18 suspicion that there's any other concerns regarding  
19 their consciousness or neurological status, then I will  
20 document it. It's not for me then to say, 'Are you sure  
21 nobody's told you that?' so it was slightly unusual of

**TRANSCRIPT OF THE INQUIRY**

1 PIRC to expect that. It's not really for me to then  
2 cross-examine a patient, because essentially they're  
3 patients of mine at that stage and I'm making sure  
4 they're physically well, being a forensic physician.  
5 It's not for me then to doubt what they say. I have to  
6 document what they say, to help better direct the care  
7 given and the examination that I perform, to do as good  
8 a job as I can, as a forensic physician."

9 And then you go on to say at 103:

10 "I was a little bit surprised about the PIRC line of  
11 questioning about 'well, would you have behaved  
12 differently if you had known that she didn't actually  
13 recall that, that someone actually told her that she had  
14 been hit? It wasn't her recollection?'"

15 This is in relation to Nicole Short:

16 "No, it's obvious that everyone's treated the same  
17 regardless. It's not defined on the history they give  
18 me. It can just help. I was slightly surprised at the  
19 line of questioning."

20 And really I just wanted you to feel that you had  
21 an opportunity today to say anything more about the PIRC

**TRANSCRIPT OF THE INQUIRY**

1 statement that you would like to in relation to these  
2 concerns that you have expressed here.

3 A. No, I mean it perhaps looks like it has put it quite  
4 strongly there and it's certainly not a complaint, but  
5 I didn't really see the point or the need for them to  
6 come to my work at that stage to do this -- take this  
7 additional -- this additional statement several years  
8 later and I wasn't really sure of the point of it. As  
9 I say, I was just trying to clarify that, what my role  
10 was and that hadn't changed: it was to examine and  
11 assess the patient from a medical perspective, but not  
12 really -- it's not really a role for me to then doubt  
13 what they say and I felt that there was suggestion of  
14 that in the questioning.

15 Q. Sorry, I couldn't hear that last part of your answer.

16 A. I just felt like there was some element of that, when  
17 they took the statement, they were specifically focusing  
18 on that, so it just was slightly unusual I felt.  
19 I didn't understand the point of that additional  
20 statement and that interview.

21 MS GRAHAME: Thank you very much. Could you just give me

**TRANSCRIPT OF THE INQUIRY**

1                   one moment please, Dr Norrie.

2                   (Pause).

3                   (Video feed cut out)

4   LORD BRACADE: Dr Norrie, can you see me now and hear me  
5                   again?

6   A. Yes, I can.

7   LORD BRACADE: Yes, thank you. Thank you very much for  
8                   giving evidence to the Inquiry. I'm about to adjourn  
9                   for arrangements for the next witness to be made and  
10                  then somebody will deal with you and bring your link to  
11                  a close. Thank you very much.

12   A. Thank you.

13   LORD BRACADE: I will adjourn briefly.

14                  (12.38 pm)

15                  (Short Break)

16                  (12.46 pm)

17   LORD BRACADE: Ms Grahame, who is the next witness?

18   MS GRAHAME: The next witness is Mr Ian Anderson.

19   LORD BRACADE: Good afternoon, Dr Anderson. Are you going  
20                  to take the oath?

21   A. Yes.

## **TRANSCRIPT OF THE INQUIRY**

1           LORD BRACADEALE: Just raise your right hand and say the  
2           words after me.

3 DR IAN ANDERSON (sworn)

4                   LORD BRACADELE: Ms Grahame.

5 Questions from MS GRAHAME

6 MS GRAHAME: Thank you.

7 Good afternoon, Mr Anderson.

8                  A. Good afternoon.

9 Q. You are Ian Anderson?

10 A. Yes.

11 Q. And what age are you?

12 A. 71.

13 Q. And I understand you retired in 2011?

14 A. No, I retired from the NHS in 2011 but I have been  
15 working since in private practice.

16 Q. So continuing your work as an expert witness in relation  
17 to --

18 A. In medical legal work, yes.

19 Q. Medical legal work. And you were a consultant in  
20 accident and emergency from 1984?

21 A. Yes.

**TRANSCRIPT OF THE INQUIRY**

1           Q. And you have an expertise in the initial assessment of  
2           head injuries and on the mechanism of injury?

3           A. Yes.

4           Q. And you were for a while the President of the  
5           Royal College of Physicians and Surgeons in Glasgow?

6           A. Yes.

7           Q. And you're here today to help the Inquiry because you  
8           examined Nicole Short on 21 May 2015 and that was on the  
9           instruction of her solicitor, Peter Watson, and he  
10          invited you to give an opinion on the injuries sustained  
11          by Nicole Short and her then clinical situation, is that  
12          right?

13          A. Yes.

14          Q. And in that regard, you have told us that that was to  
15          look for residual physical injuries and any effects of  
16          those injuries on her activities of daily living?

17          A. And employment, yes.

18          Q. And employment, thank you.

19           Now, I want to make sure that you have everything  
20          you might need today in front of you, so that you're  
21          comfortable. So do you see the black folder in front of

**TRANSCRIPT OF THE INQUIRY**

1                   you?

2       A. Yes.

3       Q. Now, there should be, I think, your Inquiry statement  
4                   there, that's SBPI 00077. Now, you have a hard copy,  
5                   but when I ask for specific paragraphs maybe I will  
6                   refer you to them, it will also come up on the screen  
7                   right in front of you, but when I do that, it might just  
8                   be the one paragraph that you can see, so if you wish at  
9                   any time to look through other parts of your Inquiry  
10                  statement, please feel free to do so.

11      A. Thank you.

12      Q. And you can just let me know which paragraphs you would  
13                  like to refer to.

14      A. Yes.

15      Q. And then in addition, you should have a copy of your  
16                  medical report on Nicole Short as well?

17      A. Yes.

18      Q. So I want -- you have hard copies of those and you --  
19                  feel free just to look at them at any time?

20      A. Thank you.

21      Q. So let's look first of all then at your Inquiry

**TRANSCRIPT OF THE INQUIRY**

1 statement and that's 77, and you will see it's on the  
2 screen, it says, "Dr Ian Anderson", and it was taken  
3 over FaceTime on Tuesday 29 March of this year and that  
4 was someone from the Inquiry team who was in touch with  
5 you and was able to take your statement through the use  
6 of technology. I think we were maybe still -- maybe not  
7 quite in lockdown, but there were a lot of restrictions  
8 still on the go in March, is that right?

9 A. Yes, yes.

10 Q. And then can we look at the final paragraph, please,  
11 which I think is 44. We will get that on the screen and  
12 it says:

13 "I believe the facts stated in this witness  
14 statement are true. I understand that this statement  
15 may form part of the evidence before the Inquiry and be  
16 published on the Inquiry's website."

17 And in the knowledge of that, you have then signed  
18 your Inquiry statement on every page and I think that  
19 may have been done electronically as well, or -- but you  
20 have a hard copy and I only have the redacted copy in  
21 front of me.

**TRANSCRIPT OF THE INQUIRY**

1           A. Yes, it was signed physically by me actually, in the  
2           presence of one of the Inquiry staff.

3           Q. Thank you. Well, that's excellent.

4           A. I'm afraid I'm of an age where I have a healthy  
5           disrespect for technology.

6           Q. I'm exactly the same, but I'm trying to work my way  
7           round that.

8                         So the signature -- we don't see that on the screen,  
9                         but you have your copy and know that you signed it?

10          A. Yes.

11          Q. And we see that that was on 6 May 2022.

12          A. Yes.

13          Q. Thank you. And you were doing your best when you gave  
14                 this statement to the Inquiry to be truthful and to be  
15                 as accurate as you could be?

16          A. Given that it had been some considerable number of years  
17                 before I had compiled the report, yes.

18          Q. You're not the first witness to have said that, so it's  
19                 seven years since you actually looked at, or examined  
20                 Nicole Short.

21          A. Yes.

**TRANSCRIPT OF THE INQUIRY**

1           Q. So there may be parts of your statement where you  
2           rightly say your recollection is not as clear now as it  
3           would have been at the time?

4           A. I could tell you that now, yes.

5           Q. Thank you. That's very helpful, thank you.

6                         Then can we look at PIRC 01405, so this is the  
7           medical report that you prepared on Nicole Short and we  
8           can see that on the screen and then if we can look to  
9           the first page, it was prepared on 21 May 2015 and  
10           that's your name, Mr Anderson, and you have given the  
11           fact that you are a fellow of various royal colleges.

12           A. Yes.

13           Q. Emergency Medicine and others. Do you want to tell us  
14           about your membership of various royal colleges?

15           A. Well, that's at the beginning of the report and I really  
16           don't want to bang the drum about what I did when I was  
17           a younger man.

18           Q. That's very modest of you, but let's look at that for  
19           the moment and just -- we can see -- so for the  
20           assistance of the Chair when he comes to consider this  
21           at a later time, he can see that you have listed various

**TRANSCRIPT OF THE INQUIRY**

1 royal colleges that you are a member of and as  
2 I understand it, when you're made a fellow, that's  
3 a more significant status than just being a member?

4 A. Yes. It's also more expensive.

5 Q. I'm sure that's true. Thank you.

6 So when we look at this medical report, it was  
7 prepared on the instruction of Peter Watson who is  
8 a solicitor and it was on behalf of Nicole Short.

9 A. Yes.

10 Q. And she was the patient. And can we look at the last  
11 paragraph of the last page, first of all. And we will  
12 come back to this, but I just wanted to highlight this  
13 paragraph that you have put in your report and you say:

14 "I confirm that insofar as the facts stated in my  
15 report are within my knowledge I have made clear which  
16 they are and I believe them to be true, and that the  
17 opinions I have expressed represent my true and complete  
18 professional opinion."

19 And so is it fair to say you are proceeding on the  
20 basis that these facts are true and you say that  
21 "Insofar as the facts stated are within my knowledge,

**TRANSCRIPT OF THE INQUIRY**

1 I have made clear which they are", and "I believe them  
2 to be true", and I think that's the nub of it, isn't it,  
3 Mr Anderson: it's the facts that you had in May 2015,  
4 you have noted them in your report, but -- and I think  
5 on paragraph 13 of your Inquiry statement you say that's  
6 still a correct statement. You can have a look at that.

7 A. Yes.

8 Q. So your opinion is based on the facts from 2015 and that  
9 was the facts that were based on medical records that  
10 you had been sent in relation to Nicole Short?

11 A. Yes.

12 Q. And a history that you took from Nicole Short?

13 A. Yes.

14 Q. And information that was provided to you by her  
15 solicitor that was available to the solicitor then?

16 A. Yes.

17 Q. And that was 21 May 2015?

18 A. Yes.

19 Q. And am I right in thinking, Mr Anderson, that that  
20 paragraph is there in your medical opinion because if  
21 the facts change, then your opinion may also change?

**TRANSCRIPT OF THE INQUIRY**

1           A. Yes.

2           Q. And you would like the Chair presumably to know that if  
3           there are different facts available to the Chair, or new  
4           information, some of that may be significant to you and  
5           to the opinion that you formed then?

6           A. Yes.

7           Q. Thank you. Now, it will not surprise you to know that  
8           as this Inquiry has significantly more information at  
9           our disposal today than you had on 21 May 2015?

10          A. Yes.

11          Q. It's a long period of time. And can I also confirm that  
12           when you prepared your report in May 2015, you did not  
13           have anything from any other police officers: no  
14           statements or precognitions or anything like that?

15          A. Not that I can remember, no.

16          Q. And that may be because they did not give statements to  
17           PIRC until 4 June, which was actually after you  
18           examined --

19          A. Yes.

20          Q. -- Nicole Short, so none of that information was  
21           available to you at the time.

**TRANSCRIPT OF THE INQUIRY**

1           A. That's correct.

2           Q. So your report here, you did not take account of any of  
3           that, and even since your Inquiry statement that we  
4           looked at a moment ago which was taken in March and  
5           signed by you in March of this year, even since then we  
6           have taken a number of very detailed statements from  
7           eye-witnesses and other witnesses and we have also taken  
8           many hours of oral evidence from witnesses during the  
9           hearings, and none of that would have been available to  
10          you at the time.

11         A. That's correct.

12         Q. So none of that would have been available to you, it  
13          wasn't available to your patient, Ms Short, it wasn't  
14          available to your instructing solicitor, Mr Watson.

15           And today I would like to give you an opportunity to  
16          consider some of that new information and if you feel  
17          that that is significant to you in your opinion, I would  
18          very much like you to tell the Chair because it's  
19          important that he understands completely what your views  
20          are.

21         A. Okay, I understand.

## **TRANSCRIPT OF THE INQUIRY**

1 Q. Are you happy to go on that basis?

2 A. Well, I understand.

3 Q. Thank you, that's great.

4 So the other thing, in fairness to you, Mr Anderson,  
5 I would just like to explain at the outset is that we  
6 have another consultant who is coming later, after your  
7 evidence, and he is also going to hopefully assist the  
8 Chair, and he was Mr Rudy Crawford and he was an  
9 accredited specialist in A&E medicine and surgery and he  
10 retired from the NHS in 2016, after more than 37 years  
11 in clinical medical practice, and he was 26 years as  
12 a consultant at Glasgow Royal Infirmary?

13           A. Yes, I know Mr Crawford as a colleague. I don't need  
14           any introduction about his background.

15 Q. I did suspect that you may have.

16 A. It's a small church, as you might imagine, and I was  
17 president of what now is the Royal College of Emergency  
18 Medicine of which he is a fellow so ...

Q. So you do know him, you know of him?

20 A. Yes, I do.

21 Q. Thank you. Now, I will come to this later when we're

**TRANSCRIPT OF THE INQUIRY**

1           discussing this, but he had prepared a report for  
2           the Crown in August 2019. It was a desktop report  
3           regarding injuries to PC Nicole Short, and he has now  
4           given an Inquiry statement from May, 12 May, and I will  
5           be able to refer you to this later, but I just want you  
6           to know this before we start. So he gave a statement  
7           in May, after you had given your statement, and some of  
8           the information we have been able to provide has now  
9           resulted in him changing his opinion, so I will -- but  
10          I will let you see that as well, so you know. I'm not  
11          trying to hide anything from you.

12         A. I wouldn't think you would anyway.

13         Q. No, I'm not doing that.

14           So let's just very briefly go back to your medical  
15          report please, PIRC 1405, and you have already told us  
16          that page 2 details your appointments, and just in the  
17          last couple of minutes, can I ask you, you have been an  
18          expert or a skilled witness giving evidence to courts  
19          for many years I imagine?

20         A. Yes.

21         Q. And will that be in criminal cases as well as civil

**TRANSCRIPT OF THE INQUIRY**

1 cases?

2 A. Yes, both in England and in Scotland.

3 Q. So throughout the UK really?

4 A. Yes.

5 Q. And how many reports have you prepared over those years;  
6 are you able to give us any sort of indication?

7 A. I suppose they would be in their thousands now, yes.

8 Q. And have you prepared many reports for police officers?

9 A. Some years ago I did; latterly very few.

10 Q. Thank you. And would that be both if they were maybe  
11 defending criminal allegations, but also if they were  
12 pursuing their own civil claims or --

13 A. Yes.

14 Q. -- that type of thing?

15 A. That's right.

16 Q. So a variety of different scenarios. And equally, you  
17 will have given various reports to non-police officers  
18 over the years?

19 A. Yes.

20 MS GRAHAME: Would that be an appropriate moment?

21 LORD BRACADALE: Would that be a convenient point? We will

**TRANSCRIPT OF THE INQUIRY**

1 stop for lunch and sit at 2 o'clock.

2 (1.01 pm)

3 (The luncheon adjournment)

4 (2.00 pm)

5 LORD BRACADEL: Yes, Ms Grahame.

6 MS GRAHAME: Welcome back, Mr Anderson. I would like to  
7 move on to look at your medical report, if we may, and  
8 that's PIRC 01405. And that should come up on the  
9 screen.

10 The first thing I would like to do is just to go  
11 straight to your opinion and that's on pages 8 and 9 of  
12 the report, so towards the end. Just keep going,  
13 please. We will see a section that says "Opinion".  
14 Thank you. I think I'm using the pages of the report  
15 rather than the PDF, that will be the explanation.

16 Now, it is very neatly and simply expressed and set  
17 out, so if you don't mind, I will read that out so that  
18 everyone can hear what we're talking about:

19 "Nicole Short was a 29-year-old police officer who  
20 suffered injuries consistent with having been caused in  
21 a violent assault whilst on duty on the morning of

**TRANSCRIPT OF THE INQUIRY**

1           3 May 2015.

2           "She suffered a blunt head injury and contusions to  
3           the back of the right side of her scalp and over her  
4           right external ear.

5           "She suffered an associated neck sprain injury.

6           "She suffered contusions to the right side of her  
7           torso, particularly over her lower right rib cage,  
8           consistent with having been caused by blunt injury.

9           "She suffered abrasions and soft tissue injuries  
10          over her knees and elbows, consistent with having been  
11          caused when she fell to the ground after being struck  
12          over the head.

13          "She attended hospital on 3 and 4 May 2015 and on  
14          neither occasion was the standard of initial assessment  
15          and clinical management adequate given the mechanism of  
16          injury recently sustained.

17          "It was not until 10 May 2015 that she underwent  
18          appropriate imaging of her head and neck, despite her  
19          having suffered a period of post-traumatic amnesia in  
20          the aftermath of her head injury and also given ongoing  
21          post-concussional symptoms following her assault.

**TRANSCRIPT OF THE INQUIRY**

1           "She suffered some right sided facial weakness and  
2 which, on the balance of probabilities, has been the  
3 result of local injury to the main nerve supply to the  
4 muscles over the right side of the face as it exits  
5 through the base of the skull."

6           And then over on to page 9:

7           "The injury at that site would be entirely  
8 consistent with having been caused by a blunt injury.

9           "When I reviewed her on 21 May 2015, some 18 days  
10 following her assault, she clearly was continuing to  
11 suffer genuine and troublesome concussional symptoms  
12 together with slowly resolving right sided facial  
13 weakness and, on the balance of probabilities, some  
14 resolving focal neurological signs of weakness affecting  
15 her right upper limb.

16           "She is likely to suffer from post [I think that's  
17 concussional] symptoms for some six months or so  
18 following her assault. Her facial weakness will  
19 gradually ease over the course of some three months  
20 following her assault and during that time her upper  
21 limb symptoms will gradually settle."

**TRANSCRIPT OF THE INQUIRY**

1           And then if we just look to the end of the page,  
2           that's just your signature at the bottom.

3       A. Yes.

4       Q. Now, there's one area I'm particularly interested in so  
5           I would like to go back to page 8, please, and it is the  
6           paragraph towards -- this is page 8 of your report.  
7           Just stop there, please. It's the paragraph that begins  
8           "She suffered contusions". So it's around about the  
9           centre of the screen.

10      A. Yes.

11      Q. "She suffered contusions to the right side of her torso,  
12           particularly over her lower right rib cage, consistent  
13           with having been caused by blunt injury."

14           Now, first of all, can you point out to the Chair  
15           the right side of your torso, particularly in the area  
16           of the lower right rib cage so that he knows exactly  
17           what area we're talking about?

18      A. It would be that area (indicating), my Lord.

19      Q. So that's just on your right side, just under your  
20           rib cage -- your bones?

21      A. Just at the lower border of the rib cage, between that

**TRANSCRIPT OF THE INQUIRY**

1 and the upper surface of the abdomen.

2 Q. Thank you. And you have talked about contusions; can  
3 you tell us what a contusion is?

4 A. Really soft tissue injuries. That means there's no open  
5 wound, no penetrating wound and it's -- usually it would  
6 be the soft tissue injuries below the level of the skin,  
7 or even the coverings of the muscles between the ribs.

8 Q. So no visible bruising or discolouration?

9 A. Not by the time I saw her, no.

10 Q. Thank you. Then you talk about it being consistent with  
11 having been caused by blunt injury. What do you mean by  
12 blunt injury? What did you have in mind at that time?

13 A. It could have been caused by a blow, or indeed by a fall  
14 against their torso at the same time as she fell  
15 forwards. I couldn't be specific about it because the  
16 findings were not major. We're not dealing here with an  
17 individual who had had a very serious injury to her  
18 chest involving multiple rib fractures, at more than one  
19 level of the rib, and a high probability of damage to  
20 the underlying lung with or without a collection of  
21 blood between the chest wall and the lung, or

**TRANSCRIPT OF THE INQUIRY**

1           a collection of air, and the clinical terms would be  
2           either a haemothorax or a pneumothorax.

3       Q. So is it fair to say that the contusions are at the  
4           lower end of severity?

5       A. Yes.

6       Q. And actually in paragraph 32 of your Inquiry statement,  
7           if we can have that on the screen, you do say  
8           specifically:

9                 "There was no external bruising on [her] rib cage.  
10          If there had been, I would have put it down. Contusions  
11          are soft tissue injuries which involve no breach of the  
12          overlying service surface."

13                 So that's nothing damaged on the skin itself?

14       A. Yes. It doesn't get away from the fact it can be  
15          a painful injury because the enervation, the nerve  
16          supply to the underlying muscles, and indeed the  
17          external surface of the lung can give rise to quite  
18          marked symptoms of pain, particularly when moving.

19                 Anybody who has suffered pleurisy, for instance, which  
20          involves inflammation of the covering of the lung really  
21          gets very severe pain.

**TRANSCRIPT OF THE INQUIRY**

1           Q. So people can still experience pain, even though there's  
2           no external or obvious visible signs?

3           A. Yes, yes.

4           Q. Can I look again -- sorry to go back -- to your report.  
5           You have told us how you interviewed Nicole Short and  
6           I think if we start on page 3, please, of the report,  
7           that may be 4 of the PDF. Yes, that's the page, thank  
8           you.

9                         So you interviewed Nicole Short and I think that's  
10                       your normal practice, to speak to the patient before you  
11                       prepare your opinion?

12           A. Yes.

13           Q. And you have said that she -- you will see just the  
14                       second last paragraph on the screen:

15                         "At hospital she gave an account of being struck  
16                       over the back of her head and remembered falling to the  
17                       ground but had a hazy recollection of following events."

18                         Then on page -- can we look over to page 5, you also  
19                       talk about -- thank you. If you could go up, please.

20                         Sorry, go down again. Thank you. You talk about --  
21                       I have not got the right number here, page number here.

**TRANSCRIPT OF THE INQUIRY**

1           4 May, she phoned NHS 24 at 14.33 and was referred back  
2           to A&E at Victoria Hospital. That may be on the  
3           previous page, sorry. Can we go back one. There it is.

4           This is where my lack of a hard copy is  
5           a disadvantage, Mr Anderson. So we see there the  
6           reference there:

7           "She contacted the NHS 24 helpline at 14.33 hours on  
8           4 May 2015 and was subsequently referred back to [A&E  
9           at] Victoria Hospital ... [and] she attended there at  
10           15.40 hours on 4 May ..."

11           And you say at the bottom there:

12           "At that time she was noted to be suffering from  
13           a subjective feeling of light headedness and was noted  
14           to have some right sided facial swelling."

15           When you use the word "subjective", could you  
16           explain to people what you mean?

17           A. Just what the individual would describe without any  
18           objectivity about it. I mean you can't really have any  
19           objectivity about light headedness, it's a symptom.

20           Q. And is that the same with pain? Everyone's experience  
21           of pain is personal to them?

**TRANSCRIPT OF THE INQUIRY**

1           A. Yes.

2           Q. And:

3                         "She complained of generalised pain in her limbs and  
4                         torso."

5           A. Yes.

6           Q. Right. So there was a complaint -- was this a complaint  
7                         at the A&E department of Victoria Hospital --

8           A. Yes.

9           Q. -- of generalised pain in her limbs and torso at that  
10                  time and that was on 4 May 2015. You have noted that  
11                  presumably from her records?

12           A. Yes.

13           Q. Thank you. And then you have talked about a hazy  
14                  recollection, and can we look at page 5 again, please.

15           A. Yes.

16           Q. I think there's -- something has gone wrong with my page  
17                  numbering here, but I think you were aware at the time  
18                  that she had been wearing a protective vest that had  
19                  been provided. We have heard them called stab-proof  
20                  or --

21           A. Yes.

**TRANSCRIPT OF THE INQUIRY**

1           Q. -- yes, vests at the time. And then can we look at  
2           page 6, please. And you see paragraph 2, she had pain  
3           in her neck and over her torso in addition to an ongoing  
4           headache. So again, reference to her torso?

5           A. Yes.

6           Q. And so there's reference to pain and there's reference  
7           to -- on page 7 I think we're going to look at you say  
8           there was no residual bruising noted on either side of  
9           her rib cage, and localised tenderness was noted on  
10           the -- can we just keep going moving down, please:

11                 "No residual bruising was noted on either side of  
12           her rib cage but localised tenderness was noted over the  
13           outer aspect of the right side of her lower rib cage."

14                 And then:

15                 "Auscultation of her chest using a stethoscope  
16           revealed normal breath sounds."

17                 I would like to ask you just a little more about  
18           that paragraph.

19           A. Yes.

20           Q. So again, you note that there's no bruising on either  
21           side of her rib cage, so you have checked that to see,

**TRANSCRIPT OF THE INQUIRY**

1           but you noticed localised tenderness over the outer  
2           aspect of the right side of her lower rib cage. Is that  
3           the area that you pointed out earlier?

4       A. Yes.

5       Q. So there's a complaint of pain from Ms Short, and then  
6           you have noticed localised tenderness, that's tenderness  
7           in that area?

8       A. Yes.

9       Q. And then you talk about auscultation of her chest using  
10           a stethoscope. Can you explain what that means?

11      A. Yes, anybody with a likely history of blunt force injury  
12           over the chest who complains of symptoms of pain (a)  
13           you've got to look at it, so you've got to see it,  
14           you've got to feel it, and you've got to listen to it  
15           and the reason you've got to listen to it is you've got  
16           to make sure that the normal sounds of the lung are  
17           audible through the stethoscope, without which you have  
18           a concern that there may be something covering the lung  
19           and in case of trauma it's usually blood or fluid, or in  
20           fact that the lung is not inflated to the extent that  
21           the breath sounds can be conducted to the outside of the

**TRANSCRIPT OF THE INQUIRY**

1                   chest, so this is old fashioned Osler-type medicine  
2                   where you look, feel -- in fact before you look, you  
3                   listen, so you listen to the patient, you look at the  
4                   patient, you feel the patient, and then you do all the  
5                   other things which modern medicine is infatuated with,  
6                   like scans and all the rest of it, which my junior  
7                   colleagues now love to do, but they're not terribly good  
8                   at looking, listening or feeling.

9                   Q. But often the old school methods are the best and most  
10                  reliable?

11                  A. Well, they are, but they're not taught terribly well at  
12                  medical school now I'm afraid and they're not adopted  
13                  routinely in clinical practice which they should be.

14                  Q. But certainly in terms of your examination of  
15                  Nicole Short, you were listening to her chest?

16                  A. So if somebody was to put me on the spot and say: did  
17                  this lady have a haemothorax or a pneumothorax  
18                  underlying this chest, I would have said to you, no. To  
19                  be absolutely sure in the early days of her injury you  
20                  would have had to do a x-ray of her chest. Now, I have  
21                  no recollection of whether a chest x-ray was performed

**TRANSCRIPT OF THE INQUIRY**

1           or not because I haven't noted that in my records.

2   Q. No, that's fine.

3           Can I ask maybe a simple question: when you say that  
4       you're listening to the chest, obviously as a lay person  
5       you think your chest is at the front, you're not  
6       thinking about your back.

7   A. Yes.

8   Q. But we have heard some evidence that if you're listening  
9       to someone's chest, you're actually using the  
10      stethoscope on their back, is that the --

11   A. Well, you should really use it on the front, the back  
12      and the side.

13   Q. So everywhere?

14   A. Yes.

15   Q. And that's your normal practice, is it?

16   A. Yes.

17   Q. Thank you. And that's what you would have done with  
18      Nicole Short?

19   A. Yes.

20   Q. And to listen properly, does that mean that you have to,  
21      or the patient has to remove their clothing so that you

**TRANSCRIPT OF THE INQUIRY**

1 can actually contact -- have contact between the  
2 stethoscope and their skin?

3 A. Yes.

4 Q. And is that what you do?

5 A. That's what I do, but in fact, I was a patient recently  
6 and the doctor who looked after me listened to my chest  
7 through my shirt.

8 Q. Is that right?

9 A. Which I didn't think was very clever, to say the least.

10 Q. You would think he would be trying his best with  
11 somebody of your experience?

12 A. Well, it was a lady, so I had to be polite and not pull  
13 her up on that.

14 Q. Well, I won't hear anything bad about women doctors!

15 A. I'm a great supporter of them normally.

16 Q. Good, good. Can I ask you is pain -- we have heard that  
17 Nicole Short made a complaint of pain and your report  
18 says localised tenderness in that area. Is there  
19 a difference in your mind between pain and localised  
20 tenderness, or are they just two sides of the same coin?

21 A. Really two sides, yes. They're usually associated.

**TRANSCRIPT OF THE INQUIRY**

1           Q. Thank you. So on the basis of your report there's  
2           nothing visible on the skin, Nicole Short had  
3           a contusion and localised tenderness to her right lower  
4           rib cage, and that was consistent with a blunt injury  
5           and you have told us what that was.

6           Now, the Chair has been hearing evidence obviously  
7           about what happened at Hayfield Road on 3 May 2015 and  
8           the Chair has heard evidence that Nicole Short may have  
9           been stamped on and he has also heard evidence that she  
10           wasn't stamped on, so you will understand that's quite  
11           contentious.

12           A. Yes.

13           Q. And it will be a matter for the Chair to make a decision  
14           on that, but one of the things that may assist him in  
15           reaching a decision is to hear what medical evidence is  
16           available to either support that, that a stamp happened,  
17           or contrary to that, and that's why I want to ask you  
18           some questions about this.

19           Now, I realise that that isn't information you had  
20           available to you when you prepared this report. I can  
21           say first of all to you Nicole Short has given evidence

**TRANSCRIPT OF THE INQUIRY**

1 before this Inquiry to say she doesn't remember that  
2 happening as she lay on the ground. She remembers being  
3 curled up on her right-hand side, so lying on her  
4 right-hand side in the sort of foetal position. But  
5 colleagues of hers have told her she was stamped on. So  
6 that's how that information is known to Nicole Short; it  
7 wasn't information known to her at an earlier stage  
8 prior to speaking to her colleagues, and she doesn't  
9 remember that happening.

10 Can I ask you to look at paragraphs 36, 37 and 38 of  
11 your Inquiry statement, please. So it is 36 -- we will  
12 start with 36. And you were asked to what extent these  
13 contusions -- that's the contusion that you have noted  
14 in your report:

15 "... were consistent with the following account of  
16 the incident ..."

17 And this is quoted to you:

18 "... 'a man stomped on her back with his foot with  
19 a great deal of force. He put his full body weight into  
20 the stomp and used his arms to gain leverage'."

21 And I think you weren't clear yourself at that stage

**TRANSCRIPT OF THE INQUIRY**

1 about what a stomp is, and I will help -- I will  
2 hopefully be able to help you with that -- and then 37,  
3 you weren't sure about the word "stomp" and you talk  
4 about recognising a direct blow caused by a kick or  
5 a knee, I'm not entirely sure, and then you said at 38:

6 "I have been asked to what extent the localise pain  
7 in the rib cage ... is consistent with a man kicking  
8 PC Short hard in the rib cage with the sole of his foot.  
9 It is consistent with a blunt force injury, which could  
10 be a kick, or it could be a fall. The localised  
11 tenderness is consistent with a hard kick."

12 Now, as I said to you earlier, you did not have any  
13 statements from police officers at the time that you  
14 prepared your report on Nicole Short and I can confirm  
15 that a stomp, we have heard evidence, is actually  
16 a stamp, just to be clear on that.

17 A. Yes, I thought that was the case.

18 Q. But I would like to show you something because we have  
19 also heard that PC Short was wearing a vest and I wonder  
20 if you could just see that vest. So when this  
21 happened -- yes, it is the demo -- it's the

**TRANSCRIPT OF THE INQUIRY**

1 demonstration vest. So you can touch it, you can feel  
2 it, you can feel the weight of it and -- you have  
3 probably seen that sort of vest, Mr Anderson --

4 A. Yes.

5 Q. -- with your experience for officers.

6 So I'm going to read out some of the descriptions  
7 that have been given of this stamp, and then I'm going  
8 to ask you to look at some footage and then I will ask  
9 you questions about it, but let me first of all have on  
10 the screen PIRC 263 and this is the page 3, paragraph 3.

11 So this is a statement given by a police officer  
12 Tomlinson on 4 June 2015, so after you had seen  
13 Nicole Short, and I'm going to read out a part of that.

14 This is in relation to Mr Bayoh. Thank you, that's the  
15 paragraph "He ran past me", so -- and you will see:

16 "She fell to ground face down ..."

17 That's line 4, do you see that?

18 A. Yes.

19 Q. "... when he punched her and she tried to protect her  
20 head and push herself up with her hands at the same  
21 time. I ran over to assist her, but before I got there,

## **TRANSCRIPT OF THE INQUIRY**

1 he stomped on her back with his foot with a great deal  
2 of force. He put his full body weight into the stomp  
3 and used his arms to gain leverage. After he did this  
4 she went back to the floor and never moved."

5 So I'm now going to ask Ms Drury to play a very  
6 short clip which actually is part of the evidence of  
7 PC Tomlinson where he demonstrates what he meant by  
8 that, and then if you watch the small monitor when  
9 that's played -- we can play it more than once if it  
10 would help. Right, let's play that, please, Ms Drury.

11 (Video played)

12                   Would you like to see that again, Mr Anderson?

13 A. No, no, thank you.

14 Q. You're happy with that, right. Then the other thing --  
15 so that's two stamps, that's PC Tomlinson. The other  
16 evidence that the Chair has heard -- and again, you did  
17 not have this before -- this comes from SBPI 00039  
18 please, so this is an Inquiry statement from  
19 a PC Walker, another police officer at Hayfield Road  
20 that day, and I'm interested in paragraph 47, and you  
21 will see that by this -- do you see the second line:

## **TRANSCRIPT OF THE INQUIRY**

1 "By this time PC Short was lying face down in the  
2 prone position on the road, close to the south pavement.  
3 Sheku Bayoh was on the opposite side of PC Short to me,  
4 standing at right angles to her and facing towards me.  
5 I had a clear and unobstructed view of him and saw him  
6 with his right leg in a high raised position. He had  
7 his arms raised up at right angles to his body and  
8 brought his right foot down in a full force stamp down  
9 onto her lower back, the kidney area."

10                   And again, I would like us to watch a small clip of  
11                   the evidence that the Chair has heard from PC Walker,  
12                   and this will be demonstrating the stamp. So he has  
13                   said it was at her lower back in the kidney area, but  
14                   this is his demonstration of that stamp. If we could  
15                   watch that.

16 (Video played)

17                   Would you like to see that again?

18 A. No.

19 Q. Thank you. We can just take that off the screen.

20 So as we sit here today, we now have the benefit of  
21 these statements and those demonstrations. They were

**TRANSCRIPT OF THE INQUIRY**

1 not available to you at the time, either when you saw  
2 Nicole Short or actually when you completed your Inquiry  
3 statement, but we do have that available today. Now,  
4 I appreciate that you have just seen that for the first  
5 time, but can I ask you some questions about what you  
6 have seen?

7 A. Yes.

8 Q. That will be very helpful. So can we look first of all  
9 at paragraph 39 of your Inquiry statement, and you  
10 said -- so this is given before you saw anything that  
11 I just showed you:

12 "I have been asked how long it would take to develop  
13 visible injuries to the torso in these circumstances.  
14 That'd happen pretty soon. Certainly in the hours and  
15 by the day following an injury you would expect to see  
16 something. If she'd had bruising at the site of blunt  
17 force trauma, it would be visible, certainly by the next  
18 day, certainly by the time she had been seen several  
19 times in the hospital, if anybody had looked at them.  
20 If she'd had blunt force injury at that site, they would  
21 have seen bruising."

**TRANSCRIPT OF THE INQUIRY**

1           And I suppose my first question is if the Chair  
2         accepts the evidence of those officers that Nicole Short  
3         was stamped, as they demonstrated, with that level of  
4         force onto the back, lower back of Nicole Short, perhaps  
5         in her kidney area, would you have expected there to be  
6         some visible signs of that on her body?

7         A. Yes.

8         Q. You would.

9         A. Yes.

10        Q. What sort of visible signs would you expect?

11        A. I think she would have had -- if somebody had had -- if  
12         I could use the Glasgow parlance -- a kicking, and as  
13         you might imagine, I was involved in a lot of such cases  
14         during my NHS clinical career, the first thing a patient  
15         complains about is exquisite pain at the impact site,  
16         such that they have real difficulty even standing  
17         straight up, so you can actually see a patient who has  
18         had a kicking, being extremely uncomfortable and then of  
19         course if the clothing is removed, then you can see  
20         external evidence of bruising, scuff marks -- although  
21         that would be mitigated by the fact that she has been

**TRANSCRIPT OF THE INQUIRY**

1 wearing a protective vest. I have to say, the police  
2 vest is designed to prevent penetrating trauma, not to  
3 mitigate blunt trauma, but it will indirectly do so  
4 because it's a heavy, thick piece of kit, so you  
5 wouldn't expect scuff marks particularly, but you would  
6 still expect to see quite marked localised tenderness  
7 and developing bruising.

8 I'm relying on my colleagues who had three or four  
9 times the opportunity to assess Nicole at the hospital.  
10 I cannot believe that they wouldn't have been directed  
11 to looking and listening and feeling her chest in such  
12 circumstances as was demonstrated.

13 Q. So if that had -- if that level of force and that type  
14 of stamp had occurred, you would expect that to be  
15 something that would be drawn to the doctors' attention?

16 A. I mean, Nicole is a small lady, she is 5 foot 2 inches,  
17 and she is only 7.5 stone in weight. She is a very  
18 small target area for anybody stamping on her loin or  
19 chest wall.

20 Q. And we have heard that Mr Bayoh was 5 foot 10 in height  
21 and 12 stone 10 and --

## **TRANSCRIPT OF THE INQUIRY**

1 A. He is not a huge man at that, but even so, he is  
2 a youngish male and she is a very lightly built lady.  
3 Q. Thank you. And is that the sort of thing that we have  
4 seen that would cause pain to somebody?  
5 A. Oh, yes.  
6 Q. Yes. And if the person was conscious at the time that  
7 that was happening, that's something that would be  
8 recognisable, they would be aware of that?  
9 A. It may be, but in the circumstances which were described  
10 to me, with somebody with a blunt head injury and  
11 obviously concussed, it may not have been at the front  
12 of their mind. This is an individual who, from my sort  
13 of assessment, was fearful for her life, she thought she  
14 was going to die, and in these circumstances one can  
15 excuse them not for being entirely accurate about the  
16 whole list of their signs and symptoms of injury.  
17 Q. Thank you. And certainly if the person was unconscious  
18 at the time they wouldn't have been aware of what was  
19 happening?  
20 A. Well, even impaired conscious level rather than loss of  
21 consciousness.

**TRANSCRIPT OF THE INQUIRY**

1           Q. Impaired. But as that consciousness returned to more  
2           normal levels, would you expect them to be able to  
3           experience that pain?

4           A. Oh, yes.

5           Q. At that stage?

6           A. Yes.

7           Q. So maybe in the hours or the days that followed, that  
8           would be something that would be obvious?

9           A. Yes.

10          Q. And would you have expected someone to be able to  
11           experience tenderness or discomfort in that area?

12          A. Yes.

13          Q. Even after the initial moment?

14          A. Yes.

15          Q. And you would have expected bruising to develop?

16          A. Yes.

17          Q. Over what timescale would you expect the bruising to  
18           develop?

19          A. I would have thought by the following day or so the  
20           bruising would have developed and usually would have  
21           settled -- I would have expect the bruising to have settled

**TRANSCRIPT OF THE INQUIRY**

1 by the time I saw this lady, which was some several --

2 Q. You were on 21 May, so 18 days after.

3 A. Yes, I would expect the bruising to have subsided.

4 Q. So you wouldn't expect to have seen anything by the time  
5 you saw her?

6 A. No, but I would not have been surprised if the patient  
7 still complained of symptoms, albeit --

8 Q. If that had happened?

9 A. Yes. There's other indirect things of course which  
10 I may bring up, with your permission.

11 Q. Yes, please do.

12 A. If somebody has a kick over the loin, what can happen --  
13 the kidney lies very low below --

14 Q. Could you point out the kidney area specifically.

15 A. Yes, just run a hand over that area (indicating).

16 Q. Just over that area?

17 A. One of the first things one would do in the presence of  
18 blunt force trauma to that particular part of the torso  
19 would be to, if possible, test the urine, because you  
20 could well pick up very small traces of blood in the  
21 urine which is common after blunt trauma in that area,

**TRANSCRIPT OF THE INQUIRY**

1 and that would be a part of the initial assessment in an  
2 emergency department.

3 Q. I should be clear, the statement I read out from  
4 PC Walker which mentioned the kidney area was not  
5 available on 21 May when you --

6 A. No.

7 Q. -- saw her, that was actually part of his Inquiry  
8 statement. Can I ask you a little bit more about the  
9 vest. What sort of protection do you think the vest  
10 would have given to PC Short in terms of protection from  
11 any blunt injury?

12 A. Because it's extra thickness over her torso, one could  
13 have thought it would give some form of protection but  
14 again, I have to come back, the vest is colloquially  
15 called a stab vest. It wasn't designed to mitigate  
16 against blunt trauma, it was designed to prevent someone  
17 getting penetrating trauma, particularly in Scotland  
18 from a knife, not very effective with a gunshot, but  
19 mercifully that's not a problem in civilian practice yet  
20 in Scotland.

21 Q. Yes, thank goodness.

**TRANSCRIPT OF THE INQUIRY**

1           Can I ask you to look at paragraph 29 of your  
2       Inquiry statement, please. You say here:

3           "I think, to clarify how she was struck ..."

4           Do you have that?

5       A. Yes.

6       Q. "... it might be more appropriate to look at the records  
7       compiled following her initial and subsequent  
8       attendances at hospital, because these were in the hours  
9       and days after the incident. That would be a lot easier  
10      to clarify. But I saw this lady two or three weeks  
11      after the incident."

12           So I think to assist the Chair should he pay  
13      particular regard to the examinations and evidence about  
14      the examinations in the days after 3 May?

15       A. Yes. The findings on initial assessment and clinical  
16      management in the emergency departments on her earlier  
17      attendances would be something that you would be well  
18      advised to look at closely.

19       Q. Thank you. So if there was nothing in those records in  
20      the days after --

21       A. Well, there's two explanations for that, let me

**TRANSCRIPT OF THE INQUIRY**

1 interrupt. One is it was never done, and that happens.  
2 I'm not trying to be critical of colleagues, but it  
3 happens. While the other is it was assessed and not  
4 recorded, or it was assessed and it wasn't there. These  
5 are all three explanations for that.

6 Q. And that's something that the Chair should consider in  
7 relation to those other doctors?

8 A. Yes, you will probably have read in my statement that  
9 I wasn't overly impressed with the standard of initial  
10 assessment and management of this lady until I think it  
11 was the 10th that she appeared in a medical unit by  
12 goodness rather than a trauma unit and it was only then  
13 that she was properly assessed in the way of scanning.  
14 By that time, Nicole's problems were related to her  
15 blunt head injury, not to her chest injury, and even  
16 when I assessed her, I didn't pay a huge amount of  
17 attention to her residual chest symptoms which were  
18 relatively minor, but obviously I wasn't provided with  
19 the information that you have described to me, and in  
20 many ways that's an advantage because her continuing  
21 problems when I saw her were related to her blunt head

**TRANSCRIPT OF THE INQUIRY**

1           injury and I thought they were genuine and I thought  
2           they were very significant.

3       Q. And I'm not going to be asking you too many questions  
4           about that, but certainly it does appear that in terms  
5           of the importance and the significant injury, it related  
6           to her head --

7       A. Yes.

8       Q. -- rather than anything else.

9       A. But it shouldn't have taken until 10 May before somebody  
10           scanned her.

11      Q. In relation to her head?

12      A. Yes.

13      Q. Can I ask you about some other possible causes of -- you  
14           told us about the localised tenderness and I just want  
15           to -- we have heard other evidence as well and I would  
16           like to just ask for your comments if you can help us.

17           Can I ask you about the possibility that perhaps the  
18           level of the stamp was less than the force that's been  
19           demonstrated by the officers; could that have mitigated  
20           the impact and resulted in no bruising, or very little?

21      A. It could have.

**TRANSCRIPT OF THE INQUIRY**

1           Q. And --

2           A. Injury is dependent on force, as you know, and if it was  
3           less force, there would be less injury.

4           Q. Thank you. And then we have heard from Nicole Short  
5           herself -- she has given evidence to the Inquiry -- that  
6           she was curled up in a ball, as you knew, but she has  
7           described it as the foetal position on her right side,  
8           and that's the side where you found the localised  
9           tenderness. Now, in her evidence she said that she had  
10           a sore body, her side, and at her hips:

11                 "My utility belt had also dug into my hips so my  
12           hips were sore. I do not recall strikes to my body  
13           whilst I was lying on the ground."

14                 And I asked her to clarify that and she said she  
15           felt that her spray and her baton were in the area of  
16           her hips. You will know the police wear a utility belt?

17           A. Yes.

18           Q. And it was her hip area on both sides and she said yes  
19           and confirmed that that was causing her hips to be sore.

20                 Now, is that the sort of thing that could have  
21           caused the localised tenderness --

**TRANSCRIPT OF THE INQUIRY**

1 A. Yes.

2 Q. -- that you --

3 A. Yes.

4 Q. Yes. That could have been on the 21st, that could have  
5 been the cause?

6 A. Yes.

7 Q. And we have heard some very little evidence but there  
8 was also a suggestion, so I'm going to put it to you,  
9 that a witness gave evidence that he didn't know whether  
10 one of the other officers could have stood on her, he  
11 didn't know about that. That wouldn't account for the  
12 localised tenderness?

13 A. I can't imagine anybody standing on her but, you know,  
14 these things I suppose could happen but no.

15 Q. And then she has also given evidence and we have heard  
16 evidence of her falling on the ground, hands forward in  
17 quite a dynamic movement where perhaps her feet were  
18 lifted off the ground, and is that the sort of fall that  
19 could cause or result in the localised tenderness that  
20 you describe?

21 A. She may have racked her chest wall, in colloquial terms,

**TRANSCRIPT OF THE INQUIRY**

1 by twisting at the time of her fall, that could have  
2 caused it.

3 Q. Could have caused the --

4 A. But you know, I have to come back again, when I assessed  
5 this lady, I had no major concerns about residual chest  
6 symptoms or signs, but I still had continuing  
7 discomfiture about the sequelae of her blunt head  
8 injury.

9 Q. Thank you. That's very helpful. So really it was  
10 the head injury that was of concern then, not the torso  
11 or the contusions?

12 A. No, no --

13 Q. They were minor?

14 A. -- no, these were not part of my concerns.

15 Q. Thank you. I did say previously that I would mention  
16 Dr Crawford to you, although I think you have been very  
17 helpful so far, it may not be necessary, but in fairness  
18 to you, if we could have Dr Crawford's statement,  
19 SBPI 117, and if we can look at paragraph 24, and I'm  
20 wondering if you agree with Dr Crawford on this. He has  
21 done a desk report on Nicole Short in 2019:

**TRANSCRIPT OF THE INQUIRY**

1                   "There certainly wasn't any evidence of serious  
2                   injuries caused by stamping. From my point of view,  
3                   stamping is a very dangerous and potentially lethal  
4                   injury mechanism, it can cause very serious life  
5                   changing injuries. I've seen people with this.  
6                   Stamping to the head or body, people have died as  
7                   a result of that. It's potentially life threatening.  
8                   It's fair to say, in my opinion, there is no evidence of  
9                   serious injuries or gross injuries consistent with  
10                  a serious of life-threatening stamping injury."

11                  Do you agree with that?

12                  A. Yes, I do.

13                  Q. Yes. Thank you. Paragraph 25, please:

14                  "Nicole Short has no recollection of it. It's  
15                  possible that this could be explained by amnesia. Given  
16                  the description of the stamping, I would have thought  
17                  there would have been evidence of it, such as fractured  
18                  ribs or significant blunt force injury or pattern  
19                  bruising."

20                  Do you --

21                  A. I think we already discussed that.

**TRANSCRIPT OF THE INQUIRY**

1           Q. I think you agree with that as well?

2           A. Yes, I do, yes.

3           Q. That's good, thank you. Now, the only other thing I'm  
4           interested in really is in relation to loss of  
5           consciousness, and I know that you have an expertise in  
6           head injuries, so I would like --

7           A. Only in the initial assessment and management of them,  
8           I'm not a neurosurgeon, but I see more head injuries  
9           than neurosurgeons see because neurosurgeons only see  
10           a fraction of head injuries after we have cured them in  
11           the emergency department.

12           Q. Well, I'm very interested in loss of consciousness and  
13           I'm hoping you will be able to help me with this.

14                   So in your report -- I won't take you back to it on  
15           the screen, but you talk about concussion and  
16           post-concussional syndrome and post-traumatic amnesia  
17           and you have very fairly explained that that was  
18           something of much interest to you at the time.

19                   Can you be conscious and still sustain concussion?

20           A. Well, the medical term of concussion is a diffuse injury  
21           to the brain, without any abnormalities shown on a scan

**TRANSCRIPT OF THE INQUIRY**

1 and that would be contusions to the brain surface, or  
2 bruising to the brain surface, collections of blood  
3 within the substance of the brain, or below, or outwith  
4 the coverings of the brain. Now, these are all focal  
5 injuries.

6 Concussion is a diffuse injury of the brain --  
7 poorly understood, to be honest, because it doesn't  
8 really show up in a scan. If you hit me over the head  
9 with a bottle and then put me in a scanner and I'm a bit  
10 confused before I get angry about it, the scan will be  
11 normal, but the brain is not normal, so the -- almost  
12 certainly the electrical connections within the brain  
13 are dysfunctional as a result of that diffuse injury and  
14 that's what we loosely call concussion now, but it  
15 doesn't show up in a scan and indeed, it didn't show up  
16 in this lady's scan either, mercifully, three weeks  
17 after her injury, or two weeks after her injury.

18 Q. Does that concussion necessarily involve a loss of  
19 consciousness at any point?

20 A. Not necessarily, but usually, albeit it could be very  
21 brief indeed, so if you speak to a patient who has been

**TRANSCRIPT OF THE INQUIRY**

1 concussed, they may have a period of post-traumatic  
2 amnesia which may be very, very limited and by that  
3 I mean minutes, or indeed it could be, you know, half an  
4 hour or whatever, but the duration of post-traumatic  
5 amnesia is strongly related to the severity of the  
6 head -- of the brain injury, so if you have somebody  
7 coming in who can't remember much about it, that usually  
8 should be a pointer to the fact they have had  
9 a significant brain injury and that's why nowadays we  
10 have a low threshold of scanning people.

11 When I was a boy, it was all done with bits of paper  
12 and fingers moving and all the rest of it. You look  
13 back on it, it was crazy. You weren't detecting  
14 anything at all and now you just put them in a scanner  
15 and you get a picture of the brain. Fantastic if you do  
16 it; if you don't do it, you're still at sea.

17 Q. Thank you. And when you talk -- you used the word  
18 amnesia.

19 A. Yes.

20 Q. And you have talked about post-traumatic amnesia, it may  
21 be minutes or it may be half an hour. Is that the same

**TRANSCRIPT OF THE INQUIRY**

1                   as you talked about the hazy recollection?

2       A. Yes. The hazy recollection would be the colloquial term  
3                   for what I understand as post-traumatic amnesia, whether  
4                   it be very mild, moderate or severe.

5       Q. All right, thank you. If the Chair was looking for  
6                   reliable indicators of a loss of consciousness, what  
7                   sort of things would he be looking for in the evidence,  
8                   if anything?

9       A. Very difficult. You would have to go back to the  
10                  patient and ask them what was their first recollection  
11                  after the incident. It sounds very crude, but it's  
12                  probably the only way you can work it out, I'm afraid.  
13                  If Ms Short had no recollection at all of the incident  
14                  up until in time that she was pulled off the ground and  
15                  either escorted or taken to the police vehicle or indeed  
16                  back to the station, that would be a very significant  
17                  degree of post-traumatic amnesia.

18                  My impression from talking to her was that the  
19                  degree of post-traumatic amnesia she had was relatively  
20                  brief.

21       Q. We have heard from Nicole Short and we have looked at

**TRANSCRIPT OF THE INQUIRY**

1                   her previous statements given over a period of time and  
2                   she has a recollection of being -- of having a blow to  
3                   the back of her head --

4                   A. Yes.

5                   Q. -- falling with her hands out, curling up to protect  
6                   herself into a foetal position on her right-hand side,  
7                   putting her hands behind her head at the bun where she  
8                   had her hair, and she remembers being pulled up by  
9                   a colleague and going over to a van. So there don't  
10                  appear to be any immediate and obvious gaps in that --

11                  A. Yes.

12                  Q. -- narration. Is there anything that -- but she doesn't  
13                  remember any blows that came and the Chair will want to  
14                  try and decide what happened during that period. Is  
15                  there anything he should look out for?

16                  A. Well, she had residual signs of injury to her head when  
17                  I saw her because she was tender over the back of her  
18                  ear and over the back of her scalp.

19                  Q. You are pointing to your right-hand side?

20                  A. Yes, to the right-hand side. So I'm in little doubt  
21                  that she did sustain a blow to the head and I don't

**TRANSCRIPT OF THE INQUIRY**

1           think that was caused by a fall.

2   Q. All right. And you're sure it was her right-hand side  
3           that was the issue?

4   A. Well, my memory doesn't stretch to seven years, but  
5           I think it was the right side, I recorded in my notes,  
6           yes.

7   Q. Thank you. And we may have heard evidence that her  
8           Glasgow Coma Scale when she went to hospital after the  
9           incident was 15.

10   A. Yes.

11   Q. Which is normal, I think.

12   A. Yes.

13   Q. And that the -- we may also have heard evidence from  
14           Dr Mitchell who was the A&E doctor when she went, and  
15           again, none of this would have been available to you, we  
16           have just heard from Dr Mitchell actually, that there  
17           was nothing that she was noting, or nothing that she was  
18           aware of that indicated a loss of consciousness.

19           There's no cranial nerve deficits, no double vision --

20   A. These are terribly crude clinical notes. If you get  
21           a -- any individual comes in who is involved in blunt

**TRANSCRIPT OF THE INQUIRY**

1 force trauma now with any suggestion of brief  
2 post-traumatic amnesia or whatever, or in layman's terms  
3 if somebody's not right, you stick them in a scanner now  
4 and that's the only way you can go to bed and sleep  
5 safely that night, otherwise you don't know what you're  
6 dealing with.

7 There is a lot of indication from previous research  
8 on patients who talk and die, and this is due -- work  
9 done by Professor Jeanette in Glasgow, in days well  
10 before the scanners were uniformly adopted and patients  
11 who talk and die usually have one underlying pathology  
12 and it's called an extradural haematoma and it's the  
13 typical thing of somebody who has had a rugby injury as  
14 well, who has been kicked in the head, gets up, dusts  
15 himself down, runs around the park, goes into the  
16 changing room and dies, because it's the interval of  
17 time between the mechanism of injury, the collection of  
18 blood clot inside the head, raised intracranial  
19 pressure, failure of perfusion of the brain by  
20 oxygenated blood and they die. Tragic, because if you  
21 can relieve the pressure in the brain, they live

**TRANSCRIPT OF THE INQUIRY**

1 normally because there's nothing wrong with the  
2 substance of the brain, it's pressure, and that's why  
3 nowadays young doctors are all taught to have a very low  
4 threshold of scanning people, particularly when you have  
5 some worries about the account of the mechanism of  
6 injury, whether it has been witnessed or not, so that's  
7 the way you deal with the head injuries in the modern  
8 world.

9 Q. So for someone who attends hospital with a head injury,  
10 even where they've got a Glasgow Coma Scale of 15 and  
11 they appear to be normal and there's no apparent  
12 post-traumatic amnesia and there's no suggestion that  
13 they're not right, would you expect that person to have  
14 to have a scan nowadays?

15 A. Well, nowadays, probably, yes, for the reasons  
16 I described about the patients who talk and die.

17 Q. But in 2015?

18 A. I retired in 2011 from the NHS. If Ms Short had come  
19 into my emergency department prior to my retiral and  
20 I had been on the floor with a junior doctor I would  
21 have turned round and said "Are you going to scan this

**TRANSCRIPT OF THE INQUIRY**

1 lady or not?" Now, I wasn't a martinet in clinical  
2 practice, but the answer I would have hoped to get from  
3 a junior colleague is with "Yes". So, you know,  
4 scanning somebody's head now is what you and I remember  
5 as getting an x-ray of, you know, a sore ankle. It  
6 should be very low threshold. It's cheap, it's cheerful  
7 and it's readily available in most hospitals 24/7 now.

8 MS GRAHAME: All right, thank you.

9 Could you just give me one moment, please.

10 (Pause).

11 Thank you so much, Mr Anderson. I have completed my  
12 questioning today.

13 A. Okay, thank you.

14 MS GRAHAME: Thank you very much.

15 LORD BRACADEL: Are there any Rule 9 applications? No.

16 Well, thank you very much, Mr Anderson, for coming and  
17 giving evidence to the Inquiry. I'm going to rise  
18 briefly so that the next witness can be introduced and  
19 you will then be free to go.

20 A. Thank you.

21 (2.50 pm)

**TRANSCRIPT OF THE INQUIRY**

1 (Short Break)

2 (2.55 pm)

3 LORD BRACADEL: Now, Ms Grahame, who is the next witness?

4 MS GRAHAME: The next witness is Dr Rudy Crawford and he  
5 will be taken by my learned junior.

6 LORD BRACADEL: Thank you.

7 Good afternoon, Dr Crawford. I think you will take  
8 the affirmation, will you?

9 A. Yes, my Lord.

10 DR RUDY CRAWFORD (affirmed)

11 Questions from MS THOMSON

12 LORD BRACADEL: Ms Thomson.

13 MS MCCALL: Thank you.

14 Good afternoon, doctor. Is your full name  
15 Rudy Crawford?

16 A. Yes.

17 Q. May I ask how old you?

18 A. 73.

19 Q. And I believe that you are a consultant in accident and  
20 emergency medicine and surgery?

21 A. Yes, retired.

**TRANSCRIPT OF THE INQUIRY**

1           Q. Retired. I will take you to your qualifications and  
2           your experience shortly but before I do that, I want to  
3           check that you've got everything that you need to give  
4           your evidence today in front of you. There's a black  
5           folder there. Can I ask you to open that up and within  
6           it you should find a number of documents. Firstly,  
7           a statement that you gave to the Inquiry, it's SBPI 117,  
8           on 12 May of this year.

9           A. Yes.

10          Q. Do you have that before you?

11          A. Yes.

12          Q. You will see it will come up on the screen in front of  
13           us as well and I wonder, Ms Drury, if we can go to  
14           paragraph 58 at the end of the statement. Do we see  
15           that your statement concludes with the words:

16                 "I believe the facts stated in this witness  
17           statement are true. I understand that this statement  
18           may form part of the evidence before the Inquiry and be  
19           published on the Inquiry's website."

20          A. Yes.

21          Q. You have then gone on to sign the statement. It might

**TRANSCRIPT OF THE INQUIRY**

1 have been a docu signature, I think, on 16 May of this  
2 year, is that correct?

3 A. That's correct.

4 Q. You will see that we have blanked out your signature on  
5 the version that is available for public viewing, but  
6 I think the signature should be on the hard copy before  
7 you.

8 A. That is correct.

9 Q. Also within the folder there should be a report that you  
10 prepared on injuries suffered by Nicole Short and that's  
11 COPFS 85.

12 A. Yes.

13 Q. This is a report that was instructed by the Crown Office  
14 and Procurator Fiscal Service we see, and the report is  
15 dated 16 August 2019.

16 A. That's correct.

17 Q. If it would assist you at any point to have regard to  
18 those documents, then you are welcome to do so. If  
19 there are any particular paragraphs I want to draw to  
20 your attention, perhaps because I want to ask you some  
21 further questions, then they will appear on the screen

**TRANSCRIPT OF THE INQUIRY**

1           in front of us.

2           I said that we would return to your qualifications  
3           and experience and they cover some 11 paragraphs of your  
4           Inquiry statement. Your statement is already evidence  
5           before the Inquiry, so we perhaps don't need to go  
6           through those paragraphs one by one, but I have  
7           attempted to extract what seemed to me to be the key  
8           qualifications, and I understand that you retired from  
9           the NHS, as you have mentioned in 2016, after some  
10          37 years in clinical practice, 26 of which were as  
11          a consultant at Glasgow Royal Infirmary, is that  
12          correct?

13         A. That's correct.

14         Q. And that was as a consultant in emergency medicine and  
15           surgery?

16         A. Correct.

17         Q. Going back a little in time, your career began with  
18           a Bachelor of Science honours degree in pure science and  
19           that was specialising in pathology, and then you studied  
20           for the MBChB, which in lay terms is a medical degree,  
21           is that right?

**TRANSCRIPT OF THE INQUIRY**

1           A. Yes.

2           Q. You are a fellow of the Royal College of Surgeons and  
3           a fellow of the Royal College of Emergency Medicine?

4           A. Yes.

5           Q. I want to ask you one or two questions about your time  
6           as a consultant at Glasgow Royal Infirmary, and I wonder  
7           if we might go to paragraph 7 of your statement. You  
8           explain that:

9                 "The Emergency Department of Glasgow Royal Infirmary  
10           is very busy and at that time ..."

11                 That time being the time that you were there?

12           A. Yes.

13           Q. "... treated around 90,000 patients a year with high  
14           levels of deprivation, violence and drug and alcohol  
15           related problems."

16                 Your clinical responsibilities:

17                 "... included the assessment, diagnosis and  
18           treatment of undifferentiated patients presenting with  
19           acute illness or injury and the resuscitation of  
20           critically ill or injured patients. These included  
21           cardiac arrest, head injuries and multiple trauma.

**TRANSCRIPT OF THE INQUIRY**

1 I had particular experience of managing injuries due to  
2 violence, including penetrating injuries such as  
3 stabbings."

4 At paragraph 9 you also explain that you have  
5 particular experience of managing head and chest  
6 injuries and you provided a service for their in-patient  
7 management and outpatient management and follow up of  
8 head injuries, and if I might also take you to  
9 paragraph 11 where you explain that when  
10 Strathclyde Police as then was:

11 "... set up the violence reduction unit to establish  
12 a different approach to violence [you] collaborated with  
13 them as [you] had been concerned for some time about the  
14 high levels of injuries due to violence that [you] were  
15 treating in the Emergency Department. Penetrating  
16 injuries due to stabbings were a particular problem at  
17 that time and the rate of such injuries in the  
18 population was the highest in Western Europe and had  
19 been for many years. Much of this was gang-related and  
20 due to social factors, including poverty, deprivation  
21 alcohol and drug misuse."

**TRANSCRIPT OF THE INQUIRY**

1           So you talk there about your medical involvement in  
2 violence reduction and your experience of dealing with  
3 violent assaults, in particular stabbings, and  
4 I wondered whether, in your time as a consultant in  
5 accident and emergency, you had built up experience of  
6 treating, assessing and managing stamping injuries?

7   A. Well, yes. Over the years I have treated, assessed and  
8 managed a number of cases of stamping injuries and  
9 I have dealt with cases, including some that have  
10 resulted in fatality or life-changing injuries.

11   Q. Thank you. Returning to your statement, can we look  
12 briefly at paragraph 8, please, where you explain that  
13 you have extensive experience of medical legal work  
14 spanning 30 years:

15           "..." providing independent expert reports for  
16 personal injury, criminal injury and clinical medical  
17 negligence [cases] in both civil and criminal cases."

18           You have given evidence in court including murder  
19 trials and fatal accident inquiries?

20   A. That's correct.

21   Q. So, Mr Crawford, that was my attempt to extract your key

**TRANSCRIPT OF THE INQUIRY**

1 qualifications and experience from your extensive resumé  
2 in your statement, but if there is anything of  
3 particular relevance to the matters we will be talking  
4 about today that I have failed to draw attention to,  
5 then please do bring that to my notice now.

6 A. No, I think that should cover it.

7 Q. Grand. I would like now to ask you questions about the  
8 report that you prepared, and I wonder if we can begin  
9 by looking at your report, paragraph 1.2. And this is  
10 a summary -- sorry, paragraph 1, it's at the very  
11 beginning of the report, on page 3 if that assists,  
12 Ms Drury. So 1.1 and then a little further down, 1.2.  
13 There we are, thank you.

14 So here you set out a summary of the instructions  
15 that you received from the Crown Office and you say:

16 "I have been instructed by the Crown Office and  
17 Procurator Fiscal Service to prepare a report commenting  
18 on the injuries sustained by PC Short on 3 May 2015 and  
19 particularly to comment on:

20 "(a) whether the injuries are consistent with  
21 PC Short being assaulted in the manner described in the

**TRANSCRIPT OF THE INQUIRY**

1 various accounts.

2 " (b) whether the injuries are consistent with her  
3 being stamped on in the manner described.

4 " (c) whether the injuries are consistent with her  
5 being propelled through the air and landing in the  
6 manner described.

7 " (d) whether there is anything in the injuries noted  
8 that casts doubt upon the accounts provided of the  
9 [incident]."

10 Now, in your Inquiry statement you explain that you  
11 no longer have a copy of your letter of instruction, but  
12 it would be your practice to copy the instruction  
13 verbatim into your report. You might change the tense,  
14 but otherwise, it would be word-for-word the instruction  
15 that you received?

16 A. Correct.

17 Q. Your report is dated 16 August of 2019; do you recall  
18 when the report was instructed?

19 A. It was 2019, earlier in the year, but I can't remember  
20 exactly when during that period of time, but the report  
21 did involve a considerable amount of time and work to

**TRANSCRIPT OF THE INQUIRY**

1 produce, so that date was the date that I completed the  
2 report.

3 Q. But it was some time in 2019?

4 A. It was 2019.

5 Q. Were you advised why the report was being instructed in  
6 2019, some four years after the incident?

7 A. I can't remember exactly, but I knew it was due to an  
8 investigation into the death of Mr Bayoh that had  
9 occurred in 2015.

10 Q. Now, we may hear evidence that the Crown did not raise  
11 criminal proceedings against any of the officers  
12 involved in the restraint of Mr Bayoh, and that that  
13 decision was intimated to Mr Bayoh's family  
14 in October of 2018, and we may also hear evidence that  
15 Mr Bayoh's family sought a review of that decision and  
16 that in November 2019, the officers were advised that no  
17 proceedings were to be taken against them at that time  
18 on the basis of the information then available and so it  
19 would appear to be the case that the Crown instructed  
20 you to prepare this report after their initial decision  
21 to take no proceedings, but before the review of that

**TRANSCRIPT OF THE INQUIRY**

1 decision was complete.

2 Were you aware of that fact?

3 A. Not that I recall.

4 Q. Now, Mr Crawford, this is what we might call a desktop  
5 report. Am I right to understand that you didn't  
6 examine Ms Short?

7 A. That's correct. I did not see her, I did not examine  
8 her. My report is based on the documents that I have  
9 listed and the methodology that I have described in the  
10 report.

11 Q. Yes, I see, so you didn't examine her and you didn't see  
12 her so you wouldn't have taken a history from her  
13 either?

14 A. That's correct.

15 Q. And did that lack of opportunity to examine her or take  
16 a history from her hinder you in any way?

17 A. I suspect that the lack of an examination probably  
18 didn't hinder me in any way, but I suppose with the  
19 benefit of hindsight, being able to take a detailed  
20 history myself may have -- would have been beneficial.

21 Q. As you said, your opinion is based on various documents

**TRANSCRIPT OF THE INQUIRY**

1           that were provided to you and they're listed in your  
2           report and they included statements from Constable  
3           Short, as she then was, Constable Tomlinson,  
4           Constable Paton, Constable Walker and an eye-witness  
5           Kevin Nelson. You were also provided with  
6           Nicole Short's medical records and statements from the  
7           various documents who examined her.

8           I want to ask you, Mr Crawford, whether it was clear  
9           to you, either from your instructions from the Crown  
10          Office or simply from your reading of the material that  
11          was made available to you that whether Nicole Short was  
12          stamped on was a matter of some controversy?

13          A. I think I was aware that that was an issue of  
14          contention, you know, in general terms. As I said,  
15          I cannot remember specifically when I became aware. I'm  
16          aware now that it is a controversial or -- issue. I am  
17          not sure how much I was aware of it at the time that  
18          I was instructed.

19           If I could just double check what I have written to  
20          confirm ...

21           (Pause).

**TRANSCRIPT OF THE INQUIRY**

1           I was specifically asked in the instructions to  
2       address the question whether the injuries were  
3       consistent with her being stamped on in the manner  
4       described, so to that extent I was aware that that was  
5       a specific issue that I had to address.

6       Q. I see, and I think you have highlighted there the  
7       instruction that we see at 1.2(a):

8           "Whether the injuries are consistent with PC Short  
9       being assaulted in the manner described in the various  
10      accounts."

11           But was it clear to you, either from the  
12      instructions you received or from reading the papers,  
13      that the various accounts referred to were in fact in  
14      conflict, at least insofar as they related to the stamp?

15       A. I certainly wasn't aware of it in terms of reading  
16      newspapers. I don't remember much, if anything, in the  
17      media at the time that it happened or prior to me being  
18      instructed, but I was aware that this was an issue that  
19      I had to address. I can't say that I was aware -- I'm  
20      not sure if I was aware that it was a particularly  
21      contentious issue at that time, but my feeling is that

**TRANSCRIPT OF THE INQUIRY**

1           I was aware that it was an issue.

2   Q. All right. And the questions asked of you don't appear  
3       to distinguish between the various accounts. They ask  
4       whether the injuries are consistent with Constable Short  
5       being assaulted in the manner described in the various  
6       accounts, but they don't appear to distinguish between  
7       or separate out those various accounts.

8   A. No, they didn't in the instructions.

9   Q. And perhaps for that reason, you similarly don't  
10      distinguish between them or separate them out in the  
11      opinion that you go on to offer.

12           And the questions that you were given by  
13      Crown Office don't appear, at least expressly, to have  
14      asked you to consider whether the medical evidence was  
15      more supportive of one account over another.

16   A. No, I wasn't asked that.

17   Q. Now, you reviewed Constable Short's medical records in  
18      some detail and your summary of her medical history  
19      extends to some six or seven pages of your report. Now,  
20      I don't intend for us to go through that in any detail  
21      at all, however, you provide a very succinct summary in

**TRANSCRIPT OF THE INQUIRY**

1 chapter 13 of your report, which is on page 23. It's  
2 under the heading "Comments", and I wonder whether  
3 I might ask you simply to read out chapter 13 before we  
4 go on to discuss your opinion.

5 A. Okay. Well, chapter 13, "Comments", paragraph 1, it  
6 starts:

7 "Unfortunately, it was not possible to clearly  
8 identify the precise injury mechanisms from examination  
9 of the CCTV footage. Reliance has been placed therefore  
10 on the events described in the various statements, the  
11 available medical records and the documents supplied.

12 "When she attended the Emergency Department shortly  
13 after the incident her main complaint was an injury to  
14 the head. The doctor noted that she had sustained blows  
15 to the back of the head from an assailant who chased  
16 her. She had an occipital headache. The doctor's  
17 examination was unremarkable apart from finding  
18 abrasions on both elbows, knees and left hand. She had  
19 no obvious symptoms or signs of a chest or back injury  
20 and she was discharged with routine head injury advice.

21 "When she was examined later that day by Dr Gillian

**TRANSCRIPT OF THE INQUIRY**

1           Norrie it was noted that the assailant had stamped on  
2           her back. Her physical injuries were documented and she  
3           was noted also to have tenderness in the right Occiput,  
4           Mastoid process and the right side of the neck.

5           "When she attended hospital for the second time the  
6           following day she reported further symptoms of 'all over  
7           body pain' but her main concern was intermittent  
8           light-headedness ... she had mild facial swelling on the  
9           right side and tenderness of the spinal muscles on the  
10          right side of her back."

11          I have to say there's a little bit redacted there  
12          which I cannot recall what that was:

13          "The doctor concluded that she was suffering from  
14          a minor head injury with post-concussion syndrome, soft  
15          tissue injuries ..."

16          And I'm not sure what the last bit says.

17          Q. It is something that's not relevant for our purposes.

18          A. Something that's not relevant for your purposes, okay.

19          "Her symptoms continued and she eventually underwent  
20          CT scan of the head and neck which was unremarkable."

21          Q. Thank you. That's a very succinct summary of an

**TRANSCRIPT OF THE INQUIRY**

1 extensive volume of medical records.

2 I wonder if we can now look at your opinion and it  
3 is chapter 14, the heading is "Specific questions",  
4 where you repeat the four questions that you were asked  
5 by the Crown Office and then go on to answer them, so  
6 I wonder if we might look at these in turn. The first  
7 question of course was whether the injuries are  
8 consistent with PC Short being assaulted in the manner  
9 described in the various accounts and you say:

10 "There are several descriptions in the various  
11 statements, medical records and opinion by Lord  
12 Woolman . . ."

13 Can I pause there just to say that I understand that  
14 opinion contained an extract from an affidavit that had  
15 been prepared by Nicole Short, is that right?

16 A. Yes, that's right, and I included that because it was  
17 a description of the mechanism of injury in more detail  
18 that I thought was relevant because what I was doing in  
19 these situations was looking at the history, looking at  
20 the mechanism of injury and trying to form opinions  
21 based on the injuries observed on those issues and

**TRANSCRIPT OF THE INQUIRY**

1           that's why that was included there because there was  
2           some more detail in that that hadn't been clear in  
3           previous accounts.

4       Q. I see, that's helpful. So you say:

5                 "There are several descriptions in the various  
6           statements, medical records and opinion by Lord Woolman  
7           of the alleged assault of PC Short by the assailant. In  
8           my opinion, the injuries identified and the claimant's  
9           symptoms overall were consistent with being assaulted in  
10           the manner described in the various accounts."

11               I want to ask a question about that and it's this:  
12               when you say that the injuries were consistent with her  
13           being assaulted in the manner described in the various  
14           accounts, what did you mean by that, and in particular  
15           what did you mean by "the manner described in the  
16           various accounts"?

17       A. On the documents -- both on the -- based on the hospital  
18           records, based on the accounts of the various witnesses,  
19           including PC Short, the other police officers and the --  
20           all the accounts that describe the incident, it was  
21           based on those.

**TRANSCRIPT OF THE INQUIRY**

1           Q. Would it be accurate then to say that you looked at the  
2           evidence in the round --

3           A. Yes.

4           Q. -- and offered a view as to whether the injuries were  
5           consistent with that evidence seen in the round?

6           A. Both in the round, but also I was looking for specific  
7           descriptions that would either be supportive or not  
8           supportive of a particular mechanism or of a particular  
9           injury. The -- I think I will just leave that at that  
10           point.

11          Q. Very well. Let's move on to the second question  
12          "Whether the injuries are consistent with her being  
13          stamped on in the manner described":

14                 "In my opinion the injuries were consistent with her  
15           being stamped on in the manner described. It is of note  
16           that the claimant had no recollection at the time or  
17           subsequently of being stamped on and there were no  
18           specific injuries related to that cause documented on  
19           her initial attendance at the emergency department on  
20           the morning of the incident. In my view, however, if  
21           she had been stamped on several times she could have

**TRANSCRIPT OF THE INQUIRY**

1 sustained a concussive head injury with a brief loss of  
2 consciousness at that point that would result in a brief  
3 retrograde and anterograde post-traumatic amnesia and  
4 she would have no recollection of this event.

5 "In my view, on the balance of probabilities, this  
6 would explain the minor concussive head injury rather  
7 than the initial blows to the back of the head, of which  
8 the claimant had a full recollection, which would not be  
9 consistent with causing a concussive head injury. In my  
10 opinion, the complaint of all over body pain the  
11 following day would also be consistent with this  
12 account, as well as the effects of extreme physical  
13 exertion in a 'fight or flight' situation. By that time  
14 she also had evidence of swelling and bruising on the  
15 right side of the face that was not evident on her  
16 initial hospital attendance immediately after the  
17 incident or during Dr Norrie's examination later that  
18 same day."

19 So a few questions, if I may, in relation to that  
20 particular conclusion. You acknowledge that  
21 Constable Short had and indeed has no recollection of

**TRANSCRIPT OF THE INQUIRY**

1                   being stamped on.

2       A. Yes.

3       Q. And you also acknowledge that there were:

4                   ".... no specific injuries related to that cause  
5                   documented in her accident and emergency notes."

6                   What did you mean by that, "related to that cause"?

7       A. There was no specific information in the accident and  
8                   emergency records documented at the time of either  
9                   a history that she had been stamped on, or of symptoms  
10                  complained of that would indicate an injury to the chest  
11                  or back area that -- to suggest that she had been  
12                  stamped on, and that's what I mean -- so it wasn't  
13                  documented. That -- I would have to say that that  
14                  doesn't necessarily mean that she didn't report some of  
15                  these things, or all of these things, it just means that  
16                  the doctor who examined her at the time has not recorded  
17                  or documented any of these symptoms.

18       Q. I see. So there was no recorded history of a stamp,  
19                  there was no recorded injury suggestive of a stamp, and  
20                  there was no record of any symptoms that might have been  
21                  suggestive of a stamp?

**TRANSCRIPT OF THE INQUIRY**

1           A. Correct.

2           Q. And you say it doesn't mean that these things weren't  
3           said, it could mean that they weren't written down.  
4           Now, we heard evidence this morning from the doctor at  
5           the accident and emergency department who first saw  
6           Nicole Short, and it is of course a matter for the Chair  
7           what to make of that evidence, but she gave very clear  
8           evidence that if any complaint had been made of pain on  
9           the back or the side, tenderness, or of injury, any  
10           complaint would have been noted, she could think of no  
11           reason why she wouldn't have included that, it would  
12           have been relevant information for her purposes, it  
13           would have been recorded in the notes. And similarly  
14           during the head-to-toe examination, if there had been  
15           any redness, bruising, tenderness, injury, anything of  
16           that sort noted, it would also have been recorded.

17           So it's a matter for the Chair what to make of that,  
18           but that evidence is before the Inquiry.

19           You say that if Ms Short had been stamped on several  
20           times she could have sustained a concussive head injury  
21           with brief loss of consciousness resulting in amnesia.

**TRANSCRIPT OF THE INQUIRY**

1           Was it your understanding that she had been stamped on  
2           her head?

3           A. No, not necessarily. Ms Short, or former PC Short, at  
4           no time through any of the documents that I was provided  
5           with said that she was stamped on, that she has any  
6           recollection of being stamped on, so the issue there was  
7           had she sustained a concussive head injury and how and  
8           this is where having a detailed history and a detailed  
9           mechanism of injury that would be of interest to me as  
10           a doctor, but other people might not necessarily see it  
11           as particularly important and record. So I -- the  
12           information was a bit vague and there was a bit of a gap  
13           in some areas, so I could not exclude the possibility  
14           that she had received a stamping injury to her head or  
15           whether it was to another part of the body, but I have  
16           to say that you can get a concussive head injury from  
17           a blunt force injury to either the head, the face, the  
18           neck, or the body, if sufficient force is applied to  
19           cause the head to move in such a way as to cause  
20           a concussive head injury, so that could happen if she  
21           had been stamped on in the head, or if she had been

**TRANSCRIPT OF THE INQUIRY**

1 stamped on elsewhere in the body, but with sufficient  
2 force to cause an injury to the head that would result  
3 in concussion. So ...

4 Q. That's very clear. Thank you.

5 Returning to your opinion, questions (c):

6 "Whether the injuries are consistent with her being  
7 propelled through the air and landing in the manner  
8 described.

9 "In my opinion, the injuries were entirely  
10 consistent with her being propelled through the air and  
11 landing in the manner described. In my view, the soft  
12 tissue injuries on both elbows, knees and left hand  
13 strongly support the description given."

14 I don't have any questions for you in relation to  
15 that conclusion. And for completeness, the final  
16 question was:

17 "Whether there is anything in the injuries noted  
18 that casts doubt upon the accounts provided of the  
19 incident."

20 And you say:

21 "I could not find anything in the injuries or

**TRANSCRIPT OF THE INQUIRY**

1 symptoms noted that was inconsistent with or cast doubt  
2 upon the accounts given of the incident."

3           After addressing those very specific questions you  
4 go on to offer an opinion, which again is in very short  
5 compass, and I wonder if I could simply invite you to  
6 read out your opinion. Again, there are some  
7 redactions, some matters that are not relevant for our  
8 purposes have been removed.

9 A. Okay:

10           "In my opinion, this woman sustained a minor head  
11 injury and muscular skeletal soft tissue injuries in the  
12 course of her duties as a police officer when she  
13 responded to an incident involving a member of the  
14 public.

15           "In my opinion, from a medical point of view, the  
16 physical injuries sustained were not serious or  
17 life-threatening.

18           "In my opinion, however ... the incident during  
19 which she was in fear for her life and was convinced  
20 that she would be killed ..."

21           Sorry, that doesn't read quite as well as it should:

**TRANSCRIPT OF THE INQUIRY**

1           "However, I am unable to comment further as this is  
2           outwith my area of expertise and an opinion would be  
3           required from a suitably qualified expert in clinical  
4           psychology or psychiatry.

5           "In my opinion, the injuries identified were  
6           consistent with the mechanisms of injury described in  
7           the various accounts of how they were sustained."

8       Q. Thank you, Mr Crawford. So can we take it that your  
9           report accurately sets out your opinion on the basis of  
10          the information that was made available to you in 2019?

11      A. That is correct.

12      Q. Now, information is available to the Inquiry that was  
13          not available to the Crown in 2019 and therefore could  
14          not have been available to you at the time that you  
15          prepared your report and that information includes  
16          statements that have been taken by the Inquiry team and  
17          evidence given on oath in the Inquiry hearing from  
18          a number of witnesses in recent weeks and they include  
19          Constables Walker, Tomlinson and Short, and the  
20          eye-witness, Kevin Nelson.

21           I can advise that whether Mr Bayoh stamped on

**TRANSCRIPT OF THE INQUIRY**

1           Nicole Short remains contentious and the Chair to our  
2           Inquiry will need to determine whether she was stamped  
3           on at all and if so, where on the body, how many times  
4           and with what degree of force.

5           I want to tell you a little about the evidence that  
6           the Inquiry has heard before asking you questions about  
7           stamps and asking whether the new information changes  
8           your opinion or has any bearing on the opinion that you  
9           expressed in 2019.

10          We have conducted an analysis of police Airwaves and  
11          CCTV footage and footage from mobile telephones against  
12          a real time clock and that has confirmed that from the  
13          moment that the police van in which Constable Short was  
14          travelling stopped at the scene to an Airwave message  
15          "Officer injured PC Short" is 23 seconds, okay? And in  
16          that time we have heard evidence that she and  
17          Constable Tomlinson got out of the van, Constable  
18          Tomlinson shouted instructions to Mr Bayoh, sprayed him  
19          with CS spray, Constable Short swung her baton at him,  
20          she ran away and was pursued and was struck to the head  
21          and fell to the ground. Within a further 10 seconds

**TRANSCRIPT OF THE INQUIRY**

1           Mr Bayoh had been taken to the ground by the  
2           police officers in attendance. I don't think any of  
3           that is in dispute. I will be corrected if I'm wrong.

4           And so if she was stamped on, the stamp also  
5           happened within that timeframe and the purpose of me  
6           saying that is to make clear that on any view this could  
7           not have been a lengthy or prolonged assault; it  
8           happened very quickly.

9           I should also make you aware, and I think the  
10          PIRC -- sorry, the Crown Office told you about this,  
11          that Constable Short was wearing a protective vest at  
12          the time and we have a demonstration vest in the hearing  
13          room today. I'm sure you have seen many of these in  
14          your years of practice.

15         A. Yes. I also examined clothing and equipment at the  
16          request -- and it included the protective vest so I'm  
17          familiar with that.

18         Q. That's right. I think I'm right in saying that the  
19          yellow or the hi-vis vest had been bagged --

20         A. Yes.

21         Q. -- forensically bagged, but you were able to handle the

**TRANSCRIPT OF THE INQUIRY**

1                   body armour beneath it?

2   A. Yes, that's correct I --

3   Q. Now -- sorry.

4   A. Yes, it was in a bag, it had been covered with chemicals  
5                   and I wasn't able to take it out or examine it in  
6                   detail, but I could see it within the bag.

7   Q. Yes. But you were able to handle the black vest?

8   A. The other equipment, yes.

9   Q. We have one here. If you would find it helpful to hold  
10                  it, to touch it, to feel the weight of it, please do so.

11   A. No, it's okay, I'm fine.

12   Q. It may be you feel you have seen many in the course of  
13                  your career.

14   A. Thank you.

15   Q. Returning to the evidence, Mr Crawford, Nicole Short  
16                  said in her evidence that to this day she has no  
17                  recollection of being stamped on and her evidence was  
18                  that after being struck to the back of the head and  
19                  landing on the ground, she curled up on her right-hand  
20                  side in the foetal position and she was later told about  
21                  the stamp by colleagues on her return to the police

**TRANSCRIPT OF THE INQUIRY**

1 station after she had been to A&E.

2 Kevin Nelson said in his evidence that the stamp did  
3 not happen and that before he left his window to go  
4 outside, Mr Bayoh had moved away from Nicole Short and  
5 had been tackled by a police officer in what he  
6 described as a bear hug.

7 Constables Tomlinson and Walker both said in their  
8 evidence that Mr Bayoh stamped on Nicole Short's back.  
9 So that, in very short compass, is the evidence before  
10 the Inquiry and you will appreciate that this matter  
11 remains contentious, and so I would like to explore with  
12 you what the medical evidence tells us as this may  
13 assist the Chair in reaching a view as to whether or not  
14 Mr Bayoh stamped on Nicole Short, and if so where and  
15 with what degree of force.

16 So I would like to begin this chapter of your  
17 evidence by asking you some questions about stamping in  
18 general, and I noted when I asked you questions at the  
19 outset about your time working with Strathclyde Police  
20 and your time in A&E dealing with stamping injuries, you  
21 mentioned that you had indeed seen life-threatening and

**TRANSCRIPT OF THE INQUIRY**

1                   fatal injuries as a result of --

2       A. Yes.

3       Q. -- stamps, and I wanted to ask you just how dangerous is  
4                   it to stamp on someone's body?

5       A. Well, it's -- we place a lot of emphasis on mechanisms  
6                   of injury, or mechanism of injury, and mechanisms of  
7                   injury -- some mechanisms of injury are more dangerous  
8                   than others, and are at risk of causing life-threatening  
9                   or fatal injuries, you know, they are potentially lethal  
10                  mechanism of injury.

11                  That doesn't mean that it's inevitable, or it will  
12                  happen in every case. For example, stabbings. Stabbing  
13                  is a lethal -- potentially lethal mechanism of injury  
14                  and it's highly dangerous and, you know, minor  
15                  differences in how a stabbing occurs can make all the  
16                  difference between a fatal injury and a non-fatal  
17                  injury.

18                  Similarly, stamping. Stamping is more dangerous in  
19                  my experience than kicking because of the forces  
20                  involved because injuries occur in patterns, patterns of  
21                  injury are dependent on the mechanism, and also the

**TRANSCRIPT OF THE INQUIRY**

1           energy forces involved which are transferred to the body  
2           and the greater the degree of energy that's transferred  
3           to the body, the greater the tissue damage that occurs  
4           and this goes back -- and I will not go into -- into  
5           simple laws of physics, Newton's laws about  
6           conservations of energy.

7           So these are the kind of things that we consider in  
8           dealing with injuries, so stamping injuries are  
9           potentially very serious or fatal. I mean I can give  
10          you an example or two, but it's mainly because of the  
11          energy forces that are involved in it and the potential  
12          for, you know, that transfer of energy to the body that  
13          can cause rupture of organs, damage to vessels,  
14          extensive bleeding and death.

15          Q. So what sort of injuries could be caused by stamping on  
16          a person's body, in particular, stamping on their back?  
17          You mentioned rupture to organs?

18          A. Yes.

19          Q. What other injuries might be caused?

20          A. Well, stamping in the back, for instance -- excuse me,  
21          I'm a bit dry and hoarse. Stamping on the back,

**TRANSCRIPT OF THE INQUIRY**

1 for instance, it depends where on the back the stamp  
2 occurs because people think of the back as the back but  
3 from a medical point of view, the back also includes the  
4 chest, which includes internal organs inside the chest  
5 but also the rib cage also provides a degree of  
6 protection to organs in the abdomen which when you  
7 breathe out rise up and are effectively in the chest,  
8 but separated by the diaphragm muscle.

9 So the injuries to these organs can occur depending  
10 on -- so if you are in full expiration, for example,  
11 your liver will be right up -- halfway up inside your  
12 chest effectively. You've got your kidneys at the back,  
13 you've got organs at the back like your pancreas, you've  
14 got major blood vessels at the back, and you've also got  
15 these things at the front. Also in the back of the left  
16 side you've got the spleen and these are very vascular  
17 organs, and if you get damage to the lower ribs, for  
18 example, in these areas, then you can get damage to  
19 these organs with torrential bleeding.

20 I saw -- many years ago I saw a woman of 29 who was  
21 stamped on on her right lower chest which completely

**TRANSCRIPT OF THE INQUIRY**

1                   burst her liver and she bled to death on the operating  
2                   table, you know, and it was shattered right in the  
3                   centre of the liver, split into pieces with a stamping  
4                   injury and you could also see the impression of the heel  
5                   of a shoe on the body, where that injury was applied.

6                   So that's the kind of injury that can happen if  
7                   sufficient force is applied. That's just one example.

8       Q.   That's helpful. You did say that it may depend where on  
9                   the person's back, because the back is quite a large  
10                  area.

11      A.   It is.

12      Q.   Let's take, for example, the kidney area.

13      A.   Well, again, you know, people talk about the right lower  
14                  back, but the right lower back can also be the right  
15                  lower chest. The kidney area -- you know, is also in  
16                  the right lumbar area posteriorly.

17      Q.   You're pointing to this part of your back; is that where  
18                  you would find the kidneys?

19      A.   Yes, but they lie at the back of the abdominal wall so  
20                  they're nearer the back than the front, but the kidneys  
21                  also move up and down with breathing, so they can be

**TRANSCRIPT OF THE INQUIRY**

1 higher up in the chest or lower down a bit, just as the  
2 liver can and the spleen can and the other abdominal  
3 organs.

4 And it is -- and I have not specifically mentioned  
5 it in my report, but obviously because I was coming here  
6 today I have re-read my report, I have re-read the  
7 statements that I was provided with, and there are  
8 various places where Ms Short did complain of being  
9 unable to breathe so -- and also of right-sided pain and  
10 on one of her examinations she was tender in the right  
11 paraspinal muscles and to me that would be consistent  
12 with having received a blow in that area where she was  
13 unable to breathe because of an injury to there,  
14 possibly having been winded or an injury causing pain  
15 that was restricting breathing.

16 Q. Before we go any further, her evidence, as I recall it,  
17 was that she was very upset, distressed, distraught in  
18 the immediate aftermath of this incident, and we heard  
19 from another lady officer who arrived at the scene  
20 immediately afterwards and went to comfort her, and if  
21 memory serves me well she was described as almost

**TRANSCRIPT OF THE INQUIRY**

1                   hyperventilating, struggling to breathe, struggling to  
2                   get her words out, and I'm wondering if that's the sort  
3                   of description that you're alluding to having re-read  
4                   some of the statements, whether that presentation would  
5                   necessarily be attributable to an injury to the chest,  
6                   or whether it might be on account of the fear and terror  
7                   associated with the experience that she had just had?

8       A. Well, I couldn't exclude that as a possibility because,  
9                   you know -- because you can -- you have mentioned  
10                  hyperventilation; hyperventilation is a specific,  
11                  you know, thing that can occur in association with what  
12                  used to be called panic attacks. I can't exclude that,  
13                  but she did, in some of the accounts, did seem to have  
14                  pain in the right side of her body and so -- I accept  
15                  what you're saying: there could be other causes.

16       Q. Could be other causes and on the theme of other causes  
17                  and this pain on the right side of her body, I wonder if  
18                  I can ask you to look at another couple of pieces of  
19                  demonstration equipment that we have. Again, you will  
20                  have seen these before, but the utility belt and the  
21                  CS spray holder.

**TRANSCRIPT OF THE INQUIRY**

1           Certainly we heard evidence from Constable Short  
2           that on the day in question, she was wearing a utility  
3           belt of that type, and it had, amongst other things,  
4           a CS spray canister which you will see in front of you  
5           and if you handle that, you will appreciate that it's  
6           made from solid plastic.

7       A. Yes.

8       Q. It's hard, it's not a soft item.

9           Her evidence, as I mentioned to you earlier, was  
10          that having been struck to the head and fallen to the  
11          ground, she curled up into the foetal position on her  
12          right-hand side and she gave evidence that she had pain  
13          in her hips afterwards, and a number of witnesses spoke  
14          to her holding onto her right-hand side and she said in  
15          her evidence that her utility belt had dug into her hips  
16          and her hips were sore and that she was aware of her  
17          spray and her baton, and she thought that was perhaps  
18          what was causing her hips to be sore on both sides, and  
19          I'm just wondering, before we go on any further to  
20          discuss the stamp, whether again the references that you  
21          have alluded to, having re-read the statements that were

**TRANSCRIPT OF THE INQUIRY**

1 provided to you in 2019, that refer to a pain in the  
2 right-hand side, might have been caused by falling to  
3 the ground and then lying on her utility belt and  
4 CS spray can?

5 A. That's certainly a possibility.

6 Q. I was asking you questions about how dangerous it is to  
7 stamp on someone and I wonder if I can take you to  
8 a couple of paragraphs within your Inquiry statement  
9 please. Firstly paragraph 24, where you say:

10 "There certainly wasn't any evidence of serious  
11 injuries caused by stamping."

12 And this is by reference to Nicole Short's medical  
13 records:

14 "From my point of view ..."

15 Sorry, I beg your pardon, do you have that in front  
16 of you? It is also on the screen if that assists?

17 A. Yes, I see it on the screen.

18 Q. I will let you catch up.

19 A. That's fine, thank you.

20 Q. Do you have that?

21 A. Yes.

**TRANSCRIPT OF THE INQUIRY**

1       Q. "There certainly wasn't any evidence of serious injuries  
2                  caused by stamping. From my point of view, stamping is  
3                  a very dangerous and potentially lethal injury  
4                  mechanism, it can cause very serious life-changing  
5                  injuries. I've seen people with this. Stamping to  
6                  the head or body, people have died as a result of that.  
7                  It's potentially life-threatening. It's fair to say, in  
8                  my opinion, there is no evidence of serious injuries or  
9                  gross injuries consistent with a serious or  
10                 life-threatening stamping injury."

11                 So in that paragraph you tell us a little bit about  
12                  how dangerous stamping can be and you have said the same  
13                  in your evidence today, but you also say that having  
14                  reviewed Nicole Short's medical records you didn't find  
15                  any records to suggest she had suffered injuries of that  
16                  sort.

17                 In paragraph 25 you say:

18                 "Nicole Short has no recollection of it. It's  
19                  possible that this could be explained by amnesia. Given  
20                  the description of the stamping, I would have thought  
21                  there would have been evidence of it, such as fractured

**TRANSCRIPT OF THE INQUIRY**

1           ribs or significant blunt force injury or pattern  
2           bruising."

3           So my purpose at the moment at this point in taking  
4           you to this paragraph is to identify another potential  
5           consequence of stamping and here you make reference to  
6           fractured ribs as well as blunt force injury, so as well  
7           as damage to the internal organs, there could be the  
8           breaking of bones?

9           A. Well, yes, there can be, but there may not be, it all  
10          depends on the severity and the effectiveness of the  
11          stamp.

12          Q. The severity and the effectiveness?

13          A. Yes.

14          Q. And finally on paragraph 30 -- and again my focus just  
15          now is to identify the potential causes of a severe and  
16          effective stamp, you make reference to fracturing ribs,  
17          damaging the lungs and causing internal bleeding, none  
18          of which were in evidence in this case.

19           What I would like to do now, Mr Crawford, is take  
20          you to two descriptions of the stamp. You will be aware  
21          from what I have told you already, and indeed from your

**TRANSCRIPT OF THE INQUIRY**

1 instructions back in 2019, that two officers, Constables  
2 Tomlinson and Constable Walker, speak to Nicole Short  
3 being stamped on by Mr Bayoh, and so firstly I wonder if  
4 I can take you to Constable Tomlinson's statement, this  
5 is PIRC 263 at page 3, paragraph 3. This, I think, you  
6 have seen before. There we are. So it is the paragraph  
7 at the bottom of the page about halfway down:

8 "I ran over to assist her, but before I got there,  
9 he stomped on her back with his foot with a great deal  
10 of force. He put his full body weight into the stomp  
11 and used his arms to gain leverage. After he did this  
12 she went back to the floor and never moved. I thought  
13 he had killed her. He stomped on her back again with  
14 the same force and she wasn't moving."

15 So I think you have seen that description before.  
16 There's another description I would like to show you and  
17 this is in SBPI 39. This is from Constable Walker in  
18 a statement he provided to the Inquiry. It's at  
19 paragraph 47, please. At the bottom part of that  
20 paragraph:

21 "I had a clear and unobstructed view of him and saw

## **TRANSCRIPT OF THE INQUIRY**

him with his right leg in a high raised position. He had his arms raised up at right angles to his body and brought his right foot down in a full force stamp down onto her lower back, the kidney area."

5 Now, Mr Crawford, both of these witnesses have given  
6 evidence before the Inquiry and they were both asked to  
7 demonstrate the stamp, and because these proceedings are  
8 being recorded I'm in a position to show you the footage  
9 of them demonstrating the stamp, so I wonder if we can  
10 watch Constable Tomlinson first.

11 (Video played)

12 So that was Constable Tomlinson. And Constable  
13 Walker, please.

14 (Video played)

15                   Thank you. Would you like to see that again? Would  
16                   that be helpful?

17 A. No, no, that's fine, thank you.

18 Q. You said earlier that the damage done by a stamp will  
19 depend on its severity and its effectiveness. You have  
20 seen a stamp demonstrated by two officers; how severe  
21 and effective were the stamps demonstrated?

**TRANSCRIPT OF THE INQUIRY**

1       A. Well, my first impression is obviously they're stamping  
2                   against a hard surface that is unable to give, there's  
3                   no give or movement in that. Stamping on a body is  
4                   different because bodies are elastic of varying degrees  
5                   and that helps to absorb energy and reduce the  
6                   effectiveness. You might think I'm arguing against what  
7                   I said earlier, but I'm not.

8                   Also in the circumstances where one is wearing  
9                   protective body armour and other clothing, and also  
10                  I had an opportunity to examine the footwear that  
11                  Mr Bayoh was wearing at the time, which -- I can't  
12                  remember specifically at the time, but they were soft,  
13                  essentially soft-looking and kind of feeling shoes with  
14                  thick, relatively soft soles, in other words it wasn't  
15                  hard leather and a hard heel like the kind I'm wearing  
16                  on my foot just now, and like the kind of footwear they  
17                  were wearing. So all of these things have a capacity  
18                  for deformation and absorption of energy and it slows  
19                  down the forces that are being applied to the body. The  
20                  same thing happens in vehicle crashes where, for  
21                  example, cars are designed to have crumple zones that

**TRANSCRIPT OF THE INQUIRY**

1 absorb energy that's being transferred so that it takes  
2 up that -- dissipates the energy so that it's not all  
3 applied to the body, so to speak.

4 So I have also seen CCTV footage in various cases in  
5 the past where people have been beaten, kicked or  
6 stamped on, and where, despite it looking very severe,  
7 they have not sustained serious or life-threatening  
8 injuries. They have sustained injuries, but not the  
9 severe kind that's likely to threaten life.

10 So there are a lot of variables in these things and  
11 I would be prepared to accept that's what they saw, but  
12 I would also be prepared to accept that in this case it  
13 did not result any major injuries from a medical point  
14 of view because there are other kind of variables that  
15 might influence that. Not every case of stamping  
16 results in life-threatening injuries.

17 Q. I think you will appreciate that ultimately determining  
18 what they saw will be a matter for the Chair.

19 A. Yes, of course.

20 Q. But I wonder if you can help us in terms of what light  
21 the medical evidence might cast on their evidence, and

**TRANSCRIPT OF THE INQUIRY**

1           on the circumstances of this stamp, and I hear all that  
2           you say, and there clearly are limitations to performing  
3           a demonstration on a hard floor here. However,  
4           I wonder -- you have heard the descriptions and you have  
5           seen the demonstrations. Stamps performed in the way  
6           that they were, what sort of injuries might you expect  
7           them to cause?

8           A. Again, it depends where it is applied to the body.  
9           I have made reference to things like pattern bruising,  
10          for example. Pattern bruising often gives an  
11          indication -- gives an indication of the severity of the  
12          forces that are involved where you get pattern imprints  
13          on the surface of the body or the skin as a result of  
14          these types of injuries. For example, I have seen  
15          almost like a traumatic tattoo of the name of a shoe,  
16          you know, of a trainer imprinted on somebody's head  
17          where they have been stamped on on the forehead, or you  
18          can see patterns of the footwear or patterns of the  
19          clothing and these are always warning signs of the  
20          potential for serious injury because that takes quite  
21          a lot of energy to do that.

**TRANSCRIPT OF THE INQUIRY**

1           But in this case there was none of that, but,  
2           you know, that could easily be explained by, as I said,  
3           the type of footwear, the protective clothing, other  
4           clothing that was on. She did not sustain a serious  
5           injury. I do not think you can say because she didn't  
6           sustain a serious injury that it didn't occur, just  
7           purely on that basis alone, so -- but -- sorry, does  
8           that answer your question?

9           Q. It does and I certainly didn't mean to put it to you  
10          that because of the absence of injuries she could not  
11          have been stamped on; I'm simply looking to explore with  
12          you what the medical evidence or the absence of medical  
13          evidence tells us about the circumstances?

14           A. Well, as a doctor, you know, that would be my response  
15          to this. It's a very dramatic demonstration, but there  
16          are limitations in terms of the modelling, as to how  
17          much that would reflect real life, so the -- but -- and  
18          again, as a doctor, the history is very, very important,  
19          ie the history is the description of the events, or  
20          of -- and of the symptoms and signs that a patient has,  
21          whether it's for a medical disease or condition, or

**TRANSCRIPT OF THE INQUIRY**

1           whether it is for an injury. You know, there is a --  
2           it's axiomatic in medicine that doctors are  
3           taught: listen to the patient, they're telling you the  
4           diagnosis. In other words, the descriptions that  
5           patients give you of their medical history and of their  
6           symptoms can often lead to a diagnosis without even  
7           examining a patient. That's where medical conditions  
8           are concerned.

9           In terms of injuries, that history translates into  
10          mechanism of injury. The more specific detail you can  
11          have on the exact mechanism of injury, the better you  
12          are able to anticipate the types of injuries that are  
13          likely to occur, and it is fair to say in this case  
14          there are gaps. There are gaps in Ms Short's  
15          recollection of things, there are gaps in the statements  
16          that for me as a doctor I would be wanting more  
17          information.

18           For example, if you take Ms Short's statement where  
19          she describes what -- you know, this blow to the back of  
20          the head and her falling to the ground, what she  
21          describes is falling towards the ground. She doesn't

**TRANSCRIPT OF THE INQUIRY**

1 say "I remember striking the ground", or "I hit the  
2 ground and I did this ..." you know, she remembers going  
3 towards the ground and putting her hands out to protect  
4 herself. She doesn't say anywhere that I have seen that  
5 she remembers actually landing on the ground.

6 Her next memory is of being curled on the ground, or  
7 curling up she said, and -- but it wasn't clear to me  
8 whether she meant in that statement the physical act of  
9 curling up, or that she was curled up, and when you're  
10 taking a history, that attention to detail is very  
11 important, especially when you're looking at head  
12 injuries and trying to assess the severity of the injury  
13 and the amnesia. You need to know what the last clear  
14 recollection the patient has and then you need to know  
15 the next clear memory that signals the return of  
16 continuous memory after the injury has occurred and that  
17 helps you, again, assess the head injury, and as  
18 a doctor you have to specifically question the patient  
19 in detail about these things --

20 Q. I see.

21 A. -- in order to be able to get that accurately, and in

**TRANSCRIPT OF THE INQUIRY**

1           a lot of these statements, and even in some of the  
2           records, that level of detail isn't quite there, but the  
3           impression I get from what was in that statement is she  
4           gives a clear period of time -- or a clear description  
5           where she doesn't actually remember hitting the ground,  
6           she doesn't actually remember -- she remembers either  
7           curling or being curled up on the ground but there was  
8           a gap in-between and I would presume she was lying on  
9           the ground when she hit it and what happened between  
10          that period she was on the ground and the period when  
11          she was curled up and then she goes on to describe  
12          trying to get back up off the ground after she has been  
13          injured.

14           So, you know, from a head injury point of view that  
15          I was looking at specifically, you know, there is a gap  
16          there.

17          Q. Okay, well, we will perhaps return to that, Mr Crawford,  
18          for now. Sorry, bear with me just a moment.

19           (Pause).

20           I think, Mr Crawford, she has in fact given further  
21          detail in her evidence which may fill that gap. She

**TRANSCRIPT OF THE INQUIRY**

1           describes being hit and then knocked flying, as she puts  
2           it, she says "for want of a better phrase", and then  
3           hitting the ground and then:

4           "The next thing I remember is curling up into a ball  
5           and grabbing the bun at the back of my head and trying  
6           to protect my head and I was on my right-hand side on  
7           the ground."

8           So she appears to give an account of hitting the  
9           ground.

10          A. Can I ask when that was? What account this was? How  
11           long after the incident?

12          Q. Two weeks ago. This was in her evidence under oath to  
13           the Inquiry.

14          A. Oh, two weeks ago. Okay, right, that's seven years  
15           later then. That's not what she said at the time, in  
16           her statement taken at the time and at the time there is  
17           a gap there. I'm not sure how reliable that would be  
18           seven years after the event.

19          Q. Well, it doesn't matter, again that is a matter for the  
20           Chair.

21          A. No, personally as a doctor, from assessing a head

**TRANSCRIPT OF THE INQUIRY**

1           injury, that's how I would view that. I fully accept  
2           that's for the Chair to decide.

3       Q. And I appreciate that perhaps if you had examined this  
4           lady and taken a history, you would have specifically  
5           looked to ascertain whether she had a recollection of  
6           landing on the ground.

7       A. Correct.

8       Q. And it may or may not be the case that those examining  
9           her in the early stages asked that question or sought to  
10           elicit that detail.

11      A. Correct, correct.

12      Q. But I can advise you that in her evidence before this  
13           Inquiry under oath she said that:

14                  "The next thing -- it kind of jumps because  
15                  I remember being hit and then knocked flying and then  
16                  hitting the ground."

17                  So her evidence before these proceedings is that she  
18                  recalls hitting the ground, so that would appear, on the  
19                  face of it I think, to fill that gap.

20      A. Are you asking me to express an opinion on that?

21      Q. No, I'm not asking for an opinion on that, no.

**TRANSCRIPT OF THE INQUIRY**

1           LORD BRACADEL: (Mic turned off).

2           MS THOMSON: I would agree, sir.

3           I would like to move on from that and return to the  
4           question of the stamp. The limitations of modelling  
5           aside, you have also heard the two descriptions  
6           provided. One was to the effect that Mr Bayoh put his  
7           full body weight into the stamp using his arms to gain  
8           leverage and the other to the effect that the stamp was  
9           full force down onto her lower back, the kidney area, so  
10           with those demonstrations, and more particularly those  
11           descriptions in mind, might you have expected injuries  
12           to result?

13          A. I do recollect that she had tenderness over the right  
14           paraspinal muscles, which is the area you're describing,  
15           but she definitely did not have other more serious  
16           injuries, either visible external injuries or symptoms  
17           that she described to suggest that she had injuries in  
18           that area, but she was tender in that area. I think  
19           that must have been during the examination later that  
20           day that Dr Norrie did. I may -- I would have to  
21           consult the records, but I think that was where that was

**TRANSCRIPT OF THE INQUIRY**

1           noted. It was just that a stamp in the back -- that  
2           would be consistent with a stamp in the back, as opposed  
3           to something injuring her on her side.

4       Q. Well, the Chair has heard from both Dr Mitchell and  
5           Dr Norrie and it's a matter for him to make what he will  
6           of their evidence, but if I were to advise you that  
7           neither Dr Mitchell nor Dr Norrie made any record, or  
8           has any recollection of there being any complaint of  
9           injury to the torso, anywhere on the torso --

10      A. Yes, yes, yes.

11      Q. -- neither noted any bruising, or redness, or  
12           tenderness, would you accept that perhaps --

13      A. Well, maybe --

14      Q. Let me finish, please.

15      A. Yes, sorry.

16      Q. Would you accept that perhaps your recollection --  
17           because you have clearly sought to refresh your memory  
18           by looking through records.

19      A. Yes, I did.

20      Q. That perhaps your recollection of the findings on that  
21           particular day is a little out.

**TRANSCRIPT OF THE INQUIRY**

1       A. No, I accept that it may not have been Dr Norrie,  
2           I accept that my recollection is -- but there was  
3           a definite report of an injury, or tenderness on  
4           examination in that area by one of the medical staff,  
5           but I fully accept that it is up to the Chair of this  
6           Inquiry to determine the significance of these things  
7           and I accept what you say, yes.

8       Q. Okay.

9       A. She did not have serious injuries.

10      MS THOMSON: Sir, I'm conscious of the time. I would  
11           anticipate being perhaps another 15 minutes with this  
12           witness and I'm entirely in your hands as to whether to  
13           continue this evening --

14      LORD BRACADE: There is also the possibility of Rule 9  
15           applications. Might there be, without committing  
16           yourselves? There might be Rule 9 applications. Well,  
17           in that case, I don't think we should continue, if this  
18           is a suitable break point.

19      MS THOMSON: It is.

20      LORD BRACADE: Very well. Can you return tomorrow  
21           morning, Dr Crawford?

## **TRANSCRIPT OF THE INQUIRY**

1           A. Tomorrow, Friday. Yes, my Lord.

LORD BRACADALE: Okay, 10 o'clock tomorrow morning then.

3 I will adjourn now until tomorrow morning.

4 (4.00 pm)

5 (The Inquiry adjourned until 10.00 am on Friday,

6 10 June 2022)

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

**TRANSCRIPT OF THE INQUIRY**

1

2

3

4

5

6

7

8

9

10

11

12

INDEX

13

14	DR KATHERINE MITCHELL (sworn) .....	1
15	Questions from MS THOMSON .....	1
16	Application by MS MITCHELL .....	39
17	Ruling .....	40
18	DR KATHERINE MITCHELL (continued) .....	40
19	Questions from MS MITCHELL .....	40
20	DR GILLIAN NORRIE (affirmed) .....	43
21	Questions from MS GRAHAME .....	43

**TRANSCRIPT OF THE INQUIRY**

1	DR IAN ANDERSON (sworn) .....	93
2	Questions from MS GRAHAME .....	93
3	DR RUDY CRAWFORD (affirmed) .....	140
4	Questions from MS THOMSON .....	140
5		
6		
7		
8		
9		
10		
11		
12		
13		